

BEFORE THE ARIZONA POWER PLANT AND TRANSMISSION LINE SITING COMMITTEE

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15

IN THE MATTER OF THE APPLICATION) DOCKET NO.
OF TUCSON ELECTRIC POWER COMPANY,) L-00000C-20-0007-00186
IN CONFORMANCE WITH THE)
REQUIREMENTS of A.R.S. § 40-360,) LS CASE NO. 186
ET SEQ., FOR A CERTIFICATE OF)
ENVIRONMENTAL COMPATIBILITY)
AUTHORIZING THE IRVINGTON TO)
EAST LOOP 138 KILOVOLT (kV))
TRANSMISSION LINE PROJECT, WHICH)
INCLUDES THE CONSTRUCTION OF NEW)
138 kV TRANSMISSION LINES)
ORIGINATING AT THE IRVINGTON)
SUBSTATION (SECTION 03, TOWNSHIP)
15 SOUTH, RANGE 14 EAST), WITH)
AN INTERCONNECTION AT THE PORT)
SUBSTATION (SECTION 18, TOWNSHIP)
15 SOUTH, RANGE 15 EAST) AND THE)
PATRIOT SUBSTATION (SECTION 31,)
TOWNSHIP 14 SOUTH, RANGE 15)
EAST), AND TERMINATING AT THE)
EAST LOOP SUBSTATION (SECTION 08,))
TOWNSHIP 14 SOUTH, RANGE 15)
EAST), EACH LOCATED WITHIN PIMA)
COUNTY, ARIZONA.)
_____)

16 At: Tucson, Arizona
17 Date: February 24, 2020
18 Filed: March 2, 2020

REPORTER'S TRANSCRIPT OF PROCEEDINGS

VOLUME I
(Pages 1 through 141)

22 COASH & COASH, INC.
23 Court Reporting, Video & Videoconferencing
1802 North 7th Street, Phoenix, AZ 85006
602-258-1440 staff@coashandcoash.com
24 By: Carolyn T. Sullivan, RPR
Arizona Certified Reporter
25 Certificate No. 50528

1 INDEX TO EXAMINATIONS

2 WITNESSES PAGE

3 EDMOND BECK, ERIC RAATZ, RENEE DARLING

4 Direct Examination by Mr. Derstine 18

5

6

7 GOOGLE EARTH FLYOVER PRESENTATION 96

8 PUBLIC COMMENT 126

9
10
11

12 INDEX TO EXHIBITS

13	NO.	DESCRIPTION	IDENTIFIED	ADMITTED
14	TEP-1	Application for Certificate of Environmental Compatibility	52	--
15				
16	TEP-2	Ed Beck's Pre-filed Direct Testimony	19	--
17	TEP-3	Eric Raatz's Pre-filed Direct Testimony	22	--
18				
19	TEP-4	Renee Darling's Pre-filed Direct Testimony	24	--
20	TEP-5	Hearing PowerPoint Presentation	9	--
21	TEP-6	Proposed Route Tour Schedule and Map	121	--
22				
23	TEP-8A	Hearing Notice Sign Location Map	24	--
24	TEP-8B	Hearing Notice Photographs	24	--

25

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

INDEX TO EXHIBITS (Cont.)

NO.	DESCRIPTION	IDENTIFIED	ADMITTED
TEP-12	Updated Application Exhibit G-5, Page 179	53	--
TEP-13	Updated Application Exhibit I, Page 232	54	--
TEP-14	Updated Application Exhibit I-2, Page 235	55	--
TEP-15	Letter from Michael M. Grant to Carol Peters of Arizona Electric Power Cooperative, May 10, 1994	36	--

1 BE IT REMEMBERED that the above-entitled and
2 numbered matter came on regularly to be heard before the
3 Arizona Power Plant and Transmission Line Siting
4 Committee at the DoubleTree Inn Hotel 455 South Alvernon
5 Way, Tucson, Arizona, commencing at 1:18 p.m. on the 24th
6 day of February, 2020.

7

8 BEFORE: THOMAS K. CHENAL, Chairman

9 LAURIE WOODALL, Arizona Corporation Commission
10 LEONARD DRAGO, Department of Environmental Quality
11 JOHN RIGGINS, Arizona Department of Water Resources
12 MARY HAMWAY, Cities and Towns
13 JAMES PALMER, Agriculture
14 JACK HAENICHEN, Public Member

12

13

14 APPEARANCES:

15 For the Applicant:

16 SNELL & WILMER, L.L.P.
17 Mr. J. Matthew Derstine
18 400 East Van Buren Street,
Suite 1900
Phoenix, Arizona 85004

19 and

20 TUCSON ELECTRIC POWER COMPANY
21 Ms. Megan J. DeCorse
22 88 East Broadway Boulevard
MS HQE910
Tucson, Arizona 85702

23

24

25

1 CHMN. CHENAL: Good morning, everyone. This is
2 the time set to begin the hearing on the TEP Irvington to
3 East Loop Project. My name is Tom Chenal. I chair the
4 Line Siting Committee.

5 Let's have a roll call of the Committee, and
6 then we'll turn it over to the applicant.

7 Member Palmer.

8 MEMBER PALMER: Jim Palmer representing
9 agriculture.

10 MEMBER RIGGINS: John Riggins representing
11 Arizona Department of Water Resources.

12 MEMBER DRAGO: Leo Drago representing the
13 Arizona Department of Environmental Quality.

14 MEMBER HAENICHEN: Jack Haenichen representing
15 the public.

16 MEMBER HAMWAY: Mary Hamway, cities and towns.

17 MEMBER WOODALL: Laurie Woodall representing
18 Commissioner Chairman Bob Burns of the Arizona
19 Corporation Commission.

20 CHMN. CHENAL: All right. So I see there are
21 some people in the audience. And for the applicant,
22 who's heard this admonition before, and the members of
23 the panel, now that the hearing has started, the
24 Committee is not allowed to talk to anyone about the
25 merits or the substance of the application. So we can

1 talk to you about the weather, sports, whatever, but we
2 can't talk about the application.

3 So I just ask everyone not to put us in the
4 uncomfortable position of saying we can't talk to you.
5 We're a friendly group, but we can't talk about the
6 application now that the hearing has started.

7 We'll take a break every 90 minutes for the
8 benefit of the court reporter and others.

9 Can we have the appearance for the applicant,
10 please.

11 MS. DECORSE: Yes. Megan DeCorse and Matt
12 Derstine on behalf of Tucson Electric Power.

13 CHMN. CHENAL: Good morning. Good afternoon, I
14 guess, now.

15 We have just preliminary matters. The hearing
16 is obviously set for this afternoon. We'll talk about a
17 tour. We have a tour tomorrow morning.

18 This evening at 5:30 is the public comment
19 session here at the same location. It may be this
20 hearing will go through Wednesday. It may roll over into
21 Thursday, but it's probably unlikely that it will go into
22 Friday. It starts at 9 a.m. in the mornings and will
23 finish approximately 5 p.m. in the afternoon.

24 We don't have any notices or requests for
25 intervention, and I don't have any written statements

1 that would be put into the record.

2 We will take public comment, like I said, this
3 evening at 5:30, but we'll take public comment when we
4 know there's people that have come and are willing to
5 provide or want to provide public comment. We'll do that
6 when it's convenient. So after we start the hearing and
7 we listen to the opening statement of the applicant,
8 we'll ask if anyone in the audience that would like to
9 provide any public comment. And when there is public
10 comment, we can listen to it, but we can't engage in it
11 and in back and forth questions and answers. We'll just
12 be able to hear what your comments are. And we would
13 appreciate if you have any.

14 We had a prehearing conference last week. I
15 believe that all the matters that we normally go into in
16 those prehearing conferences, we went into. And the
17 applicant has complied with the Procedural Order that was
18 entered, including the filing of witness statements,
19 providing of exhibits, signs posting, and publishing of
20 notice.

21 We don't have any legal issues to resolve
22 before we begin.

23 As part of the testimony, I know the applicant
24 will get into the tour. We oftentimes talk about that.
25 We'll have a tour tomorrow starting at 9 a.m., which is

1 usually the case for those of the Committee that wish to
2 take it.

3 So with that, does the Committee have any
4 questions?

5 (No response.)

6 CHMN. CHENAL: If not, I'd like to turn it over
7 to the applicant or counsel for the applicant for your
8 opening statements. And then after that, there may be
9 some questions from the Committee. But apart from that,
10 we'll listen to see if there's any public comment. So,
11 Ms. DeCorse.

12 MS. DECORSE: Good afternoon, Chairman and
13 Committee Members. I'll get into the logistics and some
14 housekeeping items about iPads after my opening
15 statement.

16 So I'm not sure I can believe it. Time flies
17 when you're having fun. But it's been almost a year and
18 a half since our last line siting case was before you.
19 And as always, we want to thank everyone for making the
20 trip down to Tucson and to hear our case. We think it's
21 going to be a good one.

22 So this is a transitional case for TEP, and
23 we're mixing it up a little bit. This is in part because
24 we're always striving to improve and make the
25 presentation of our line siting cases better. But also

1 because our beloved Mr. Beck will be retiring, as some of
2 you may have heard, from TEP after 40 years here in
3 April. This is his 15th line siting case. And I'm not
4 going to say this is his last, and it's selfishness on my
5 part because I'm hopeful we will see him again, and I
6 also hope it's on our side. However, we're excited for
7 his next chapter.

8 So as bittersweet as that is, we're also
9 excited to announce that Mr. Raatz will be stepping into
10 Mr. Beck's role. Because of this, you will be hearing
11 more from Mr. Raatz in this case, who will be taking you
12 through, among other things, the Google Flyover and the
13 route tour.

14 So one other change from the last case is that
15 Ms. Darling will be our sole environmental and land
16 witness.

17 The other change you will see in our hearing is
18 the change in hearing presentation format. So we're
19 still going to present testimony through a witness panel.
20 But instead of having each witness present their hearing
21 presentation in full and move witness by witness, we have
22 combined all three witness presentations into a combined
23 hearing PowerPoint presentation marked in front of you
24 part as TEP 5. We think this will provide for a better
25 overall presentation and discussion of the project and

1 allow for you to hear from all three witnesses throughout
2 the case.

3 But two things do remain the same: Breaks
4 every 90 minutes, as the Chairman had mentioned, and lots
5 and lots of cookies.

6 So that brings me to the actual introduction.

7 The reason we're here, Tucson Electric Power
8 Company is seeking approval to build a new 138kV
9 transmission line in Tucson in order to connect the
10 existing Irvington and East Loop Substations within a
11 300-foot corridor with one exception.

12 So for a small portion of the project, about a
13 half mile long, we are seeking a 900-foot-wide corridor
14 to allow flexibility to build adjacent to a scenic
15 corridor. This will be discussed later today in more
16 detail by Mr. Raatz.

17 The line will also interconnect at the proposed
18 Port and Patriot 138kV substations. The line, using our
19 preferred route B2, if selected, will be 12.78 miles in
20 length and will cross private Department of Defense, City
21 of Tucson, and Pima County-owned land as well as City of
22 Tucson and Pima County-owned rights-of-way. The total
23 cost to build the project, again, referring to our
24 preferred route, will be approximately 19 million.

25 So we have brought forth three alternatives to

1 get from the existing East Loop Substation located near
2 Kolb Road and the Speedway to a new substation called
3 Patriot, which is adjacent to the Davis-Monthan Air Force
4 Base. You will see only one proposed route for the
5 portion of the line from Patriot Substation to the
6 existing Irvington Substation located near Alvernon and
7 I-10, referred to in the application and testimony as the
8 common route. You will hear more about the specifics as
9 to how we narrowed down to these three alternatives later
10 today.

11 But that leads me to the major benefit the
12 project is bringing to the area and why we are so excited
13 to bring this project forward. So, as Mr. Beck has
14 talked about in the last few cases, there has been and
15 continues to be what we've been referring to as the donut
16 hole in TEP's system. So one of these is the base.

17 Historically, the base has been an impediment
18 to bringing TEP's facilities from our power plant at
19 Irvington up across into the general area just north of
20 the Davis-Monthan Air Force Base and the base itself.
21 Because of the runway and federal ownership of the land,
22 we have not been able to upgrade the voltage of our
23 system from 46 to 138kV necessary to serve the
24 ever-increasing load demand and improve reliability.

25 So this posed a unique opportunity when

1 Davis-Monthan approached us to help improve their
2 resiliency. We were able to meet their Department of
3 Defense directive to improve resiliency and, at the same
4 time, start to fill in that donut hole. By having the
5 138kV lines serving Davis-Monthan from two different
6 directions, something that would have been very difficult
7 to do but for and without the support of Davis-Monthan,
8 we were able to meet their resiliency goals as well as
9 meet our own system needs.

10 Now, the other need that TEP is meeting with
11 this project is future growth in the area known as the
12 Port of Tucson. This is a commercial and industrial area
13 in southeast Tucson that is home to now Amazon warehouses
14 and other high potential demand use power customers.

15 Currently, this area is being served on our
16 46kV system and not sufficient to meet the needs of
17 additional large industrial customers. Now, with this
18 project, having a 138kV line in this proximity, TEP will
19 be able to provide service to new large customers. We
20 see that as a potential economic development driver in
21 the area.

22 So what the evidence will show is that the
23 company has performed and met all statutory and
24 regulatory requirements for the issuance of a Certificate
25 of Environmental Compatibility. The evidence will also

1 show that this project is the best option to meet the
2 company's needs and assist in improving electric
3 reliability for its customers in the area, as well as
4 support Davis-Monthan Air Force Base's efforts to meet
5 energy resiliency requirements and allow for future load
6 growth in the area.

7 So, in conclusion, we are confident that we
8 will provide sufficient background and evidence for you
9 to approve the requested CEC with B2 as our preferred.
10 And we hope that you enjoy the presentation the next few
11 days.

12 CHMN. CHENAL: All right. Ms. DeCorse, I've
13 got to remember I don't have to go up to the mic.

14 Can you show us -- I mean, I know where it is,
15 but just for the benefit of the audience, can you, with a
16 laser pointer or something, show where Davis-Monthan's
17 base is in relation to this screen on the left.

18 MS. DECORSE: So it's going to be right around
19 there.

20 CHMN. CHENAL: Does the Committee have any
21 follow-up questions?

22 (No response.)

23 CHMN. CHENAL: Okay. It doesn't look like it.

24 MS. DECORSE: All right. So I can get into my
25 housekeeping?

1 CHMN. CHENAL: Yes, let's go to housekeeping,
2 and then we'll open it up to see if there's any public
3 comment.

4 MS. DECORSE: All right. So in front of you,
5 you should have a placemat that, again, is very similar
6 to our other cases, and it has the map of the project and
7 the alternative route cost as well as typical structures.
8 So we may be referring to that throughout the case.

9 And on the back of that is our key observation
10 points with the simulations of the project.

11 And then you also have iPads in front of you,
12 which, if you like, we can do a little demonstration on
13 the screen.

14 So if you go to the home button, circle button,
15 and then you click on the Adobe icon. So you'll see that
16 we have the Notice of Filing Testimony and Exhibits and
17 the actual application.

18 Patrick, if you could go to the Notice of
19 Filing Testimony and Exhibits.

20 All right. And the icon that looks like, I'd
21 say, a little ribbon on the top, if you click that, so
22 you don't have to scroll through, that will actually take
23 you to any one of the numbered exhibits.

24 We can show you the application. And then we
25 have also uploaded two additional exhibits that I believe

1 Mr. Derstine will get into later today.

2 Does anyone have any questions on the iPads
3 or...

4 (No response.)

5 MS. DECORSE: Okay. And we have -- just
6 sitting up here for your reference -- go ahead.

7 CHMN. CHENAL: Ms. DeCorse, what are the
8 documents that we have on the iPad?

9 MS. DECORSE: So the two documents that you
10 have is the actual application, titled Irvington to East
11 Loop Application; Notice of Filing Testimony and
12 Exhibits, which is the direct testimony and exhibits we
13 filed on the 19th, I believe; and then two additional
14 exhibits that we will be discussing today. You should
15 also have hard copies in front of you. Which is TEP-17
16 and 16.

17 CHMN. CHENAL: Where's TEP-15?

18 MS. DECORSE: TEP-15 should be part of --
19 Patrick, if you can go into the Notice of
20 Filing Testimony and Exhibits. It should be there.

21 MR. DUBBERLY: It only goes to 14.

22 MS. DECORSE: Uh-oh. We'll fix that. You
23 should have 15 in there. So I bet you're just going to
24 have to scroll from 14, is my guess, to 15. We'll try
25 and fix that on the break for everyone. Good catch.

1 I didn't scroll far enough. I checked them,
2 but...

3 CHMN. CHENAL: Is Exhibit 15, Ms. DeCorse,
4 actually -- if we click on Tab 14 --

5 MS. DECORSE: It's below there. Yes. It was
6 filed as part of that.

7 CHMN. CHENAL: Okay. Very good.

8 MS. DECORSE: And then just a couple
9 introductions. We have Claudia Paulsen sitting up front,
10 and she is from Snell & Wilmer, working with Matt. And
11 then we have Patrick Dubberly, which you all know.

12 CHMN. CHENAL: He's a regular.

13 MS. DECORSE: Yes. And then working our
14 audiovisual is Chris Babbie with TAVS company.

15 And that's all I had in terms of housekeeping.

16 CHMN. CHENAL: Very good. Any questions from
17 the Committee before we -- before we take public comment?

18 (No response.)

19 CHMN. CHENAL: All right. So I'm going to ask
20 the public if there's anyone that would like to provide
21 public comment. If you would, we'd be delighted to hear
22 what you have to say. If you would come up to the
23 microphone and provide your name and contact information,
24 we'd love to hear from you.

25 Now, not everyone at once. I don't want to see

1 a mad storm for the microphone.

2 I see a lot of people in the room, and no one's
3 walking up to the microphone.

4 Well, you're free to do it now. Again, if you
5 wanted to give some comment later, if anyone would like
6 to give some public comment later, say, after our break,
7 we're happy to do that. And, again, we'll have public
8 comment tonight at 5:30. So at any time if you feel the
9 need and you want to come up, give some public comment,
10 come up, and we'll hear from you.

11 All right. With that, Ms. DeCorse or
12 Mr. Derstine, if you want to proceed with the panel, we
13 can swear them in and proceed with your case.

14 MR. DERSTINE: Yes. We'd like to have you
15 swear the panel, Mr. Chairman.

16 CHMN. CHENAL: All right. Two options to the
17 panel: An oath or an affirmation. Let's start with
18 oath. Who's willing to do an oath?

19 Okay. All three.

20 (Edmond Beck, Eric Raatz, and Renee Darling
21 were duly sworn, en masse, by Chairman Chenal.)

22 MR. DERSTINE: All right. Mr. Chairman,
23 Members of the Committee, we're going to start with an
24 introduction of our witness panel.

25

1 EDMOND BECK, ERIC RAATZ, and RENEE DARLING,
2 called as witnesses on behalf of Applicant, having been
3 previously duly sworn, en masse, by the Chairman, were
4 examined and testified as follows:

5

6 DIRECT EXAMINATION

7 BY MR. DERSTINE:

8 Q. And, Mr. Beck, we'll start with you.

9 You're the director of transmission
10 development. What was your role for this project?

11 A. (BY MR. BECK) I participated in the
12 development of the application itself as well as the
13 public process leading up to our application and
14 overseeing the development of the application.

15 Q. And can you summarize your professional
16 experience and education for the Committee.

17 A. (BY MR. BECK) I have over 40 years of
18 experience in the utility industry. I have a Bachelor of
19 Science in civil engineering from the University of
20 Arizona as well as an MBA. I'm a registered professional
21 engineer in Arizona and a member of the American Society
22 of Civil Engineers.

23 MR. DERSTINE: We're going to hold a minute
24 while Mr. Dubberly is getting our slides.

25 CHMN. CHENAL: Mr. Derstine, can you tell us

1 what exhibit the slide --

2 MR. DERSTINE: TEP-5 will be the hearing
3 presentation which we'll be projecting on the left
4 screen. And then there will be a series of maps and
5 materials from the application. Largely, that will be on
6 the right screen. And we will print a deck of the right
7 screen materials and mark that separately. That's in
8 process.

9 Q. BY MR. DERSTINE: So, Mr. Beck, we covered your
10 role and some of your professional and educational
11 experience.

12 That takes us to slide No. 4. Give the
13 Committee an overview of the testimony that you'll be
14 providing in this hearing. This isn't everything that
15 you're going to touch on, but this would be some of the
16 many topics; right?

17 A. (BY MR. BECK) That is correct. So I'm going
18 to provide an overview of the project at a high level,
19 the purpose and need for the project, some background on
20 the project, and then I will get into the issue of
21 substation versus switchyard and TEP's position relative
22 to that.

23 Q. And, Mr. Beck, you prepared a direct testimony
24 that's marked as TEP-2, and the Committee members will
25 find it under the notice of the filing marked as TEP-2.

1 Did you review your direct testimony before the
2 hearing?

3 A. (BY MR. BECK) Yes, I did.

4 Q. Do you have any changes to your direct
5 testimony?

6 A. (BY MR. BECK) No, I do not.

7 Q. So if I asked you the same questions in your
8 direct testimony, TEP-2, today, your answers would be the
9 same; is that right?

10 A. (BY MR. BECK) Yes, they would.

11 Q. Mr. Beck, you also participated in and helped
12 with the preparation of the hearing slides, which is
13 marked as TEP-5, that we're showing on the left screen.

14 Do you have any changes to TEP-5?

15 A. (BY MR. BECK) No, I do not.

16 Q. So, to the best of your knowledge -- the
17 information that we've presented in TEP-5, some of it
18 will be PowerPoint slides like this, some of it will
19 contain maps and other materials. To the best of your
20 knowledge, all of that information is correct?

21 A. (BY MR. BECK) Yes, it is.

22 Q. Mr. Raatz, let's turn to you. You're the
23 manager of operations planning. Do I have the title
24 right?

25 A. (BY MR. RAATZ) Yes, that's correct.

1 Q. What was your role in this project?

2 A. My role in this project, I was responsible for
3 the technical oversight for the preliminary design of the
4 project. I attended public and stakeholder meetings as
5 part of the project. I assisted with the preferred and
6 alternative route, and I put together the tour and
7 associated schedule, the Google Flyover. And, lastly,
8 the legal -- I was responsible for the coordination of
9 the legal description and associated map.

10 Q. All right. As Mr. Beck, can you summarize your
11 professional experience and education for the Committee.

12 A. (BY MR. RAATZ) Yes. I'm a graduate from the
13 University of Arizona with a Bachelor of Science in civil
14 engineering, a registered professional engineer in the
15 state of Arizona as of 2006.

16 Currently, as Mr. Derstine said, the manager of
17 operations planning. Received a promotion in July of
18 2019. Prior to that, I was a transmission planning
19 engineer with Tucson Electric Power from 2013 to 2019.
20 And prior to that, I was a civil transmission engineer
21 with Tucson Electric Power from 2008 to 2013. And prior
22 to that, I was a civil consulting engineer in the
23 consulting world from 2001 to 2008.

24 Q. All right. Can you give a high-level overview
25 of the topics that you're going to cover in your

1 testimony.

2 A. (BY MR. RAATZ) Yes, I can.

3 I am going to be touching on -- or describing
4 the project overview, the purpose and need, technical
5 components involved in the preliminary design of the
6 project, design considerations. I'll be covering the EMF
7 study that was prepared on behalf of the project, the
8 associated costs, the Google Earth Flyover, and, finally,
9 a conclusion.

10 Q. Mr. Raatz, you prepared direct testimony that's
11 marked as TEP-3. Have you had an opportunity to review
12 your direct testimony before the hearing today?

13 A. (BY MR. RAATZ) Yes, I have.

14 Q. Do you have any changes to your direct
15 testimony?

16 A. (BY MR. RAATZ) Yes, I do.

17 In TEP Exhibit 3, on page 4, I speak to changes
18 in the application, three specifically. My testimony
19 today and throughout the case will provide one additional
20 change required to that testimony.

21 Q. Other than changes -- other than the addition
22 of one change to the three changes that are identified on
23 page 4 of your direct testimony, is your direct testimony
24 true and correct?

25 A. (BY MR. RAATZ) Yes, it is.

1 Q. And we're going to get into those changes to
2 the application a bit later in your testimony; is that
3 correct?

4 A. (BY MR. RAATZ) That is correct.

5 Q. Mr. Raatz, you also participated in the
6 preparation of the PowerPoint slides shown on the left
7 screen, TEP-5. Do you have any changes to TEP-5?

8 A. (BY MR. RAATZ) No, I do not.

9 Q. So the information presented in the slides on
10 the left screen is true and correct to the best of your
11 knowledge and information?

12 A. (BY MR. RAATZ) Yes, it is.

13 Q. Ms. Darling, last but not least.

14 You're environmental and land use supervisor
15 for Tucson Electric Power Company. What was your role
16 with this project?

17 A. (BY MS. DARLING) My role was overseeing the
18 alternative route analysis, the resource studies, the
19 public and stakeholder engagement, and pulling the
20 application together for the CEC. And I will be
21 responsible for the permitting of the project.

22 Q. All right. Can you summarize your education
23 and experience.

24 A. (BY MS. DARLING) Yes. I have a Bachelor of
25 Science degree in botany as well as post-degree education

1 in project management, transmission line siting, and
2 public involvement.

3 I have worked in environmental consulting since
4 1994 until I joined TEP in 2014. And I've worked on
5 almost exclusively electricity projects since 2001.

6 Q. Can you give us an overview of your testimony
7 before the Committee in this hearing.

8 A. (BY MS. DARLING) Yes. I will be covering
9 TEP's design philosophy; our planning process; the
10 studies that were conducted for the project, including
11 the biological and nonbiological studies; the public and
12 stakeholder involvement; alternatives development; and
13 proof of posting, TEP Exhibit 8.

14 Q. Ms. Darling, you also prepared direct testimony
15 that's marked as TEP Exhibit 4. Did you review your
16 testimony before the hearing today?

17 A. (BY MS. DARLING) I did.

18 Q. And any corrections to your direct testimony?

19 A. (BY MS. DARLING) I do have a correction on
20 page 2013 of TEP Exhibit 4, Table 1, which is the
21 percentage of land ownership in the project area. There
22 is an error in the percentage calculations, and I'll go
23 into that more later in my testimony. It's also in the
24 application on Table 3 of page 13 of the application.

25 Q. So you are going to address and, I assume,

1 refer to and will present a corrected table in place of
2 what's set forth on page 13 of your direct testimony and
3 the table that's set forth in the application?

4 A. (BY MS. DARLING) Yes.

5 Q. Other than that, are there any corrections or
6 changes to your direct testimony?

7 A. (BY MS. DARLING) No, there are not.

8 Q. So if I asked you the questions in your direct
9 testimony today, your answers would be the same; right?

10 A. (BY MS. DARLING) Yes, they would.

11 Q. And, Ms. Darling, you also had a hand in
12 preparing the slide presentation shown on the left
13 screen, TEP-5. Do you have any changes or corrections to
14 TEP-5?

15 A. (BY MS. DARLING) No, I don't.

16 Q. And the information that we're going to present
17 to the Committee on the left screen through TEP-5 is true
18 and correct to the best of your knowledge; is that
19 correct?

20 A. (BY MS. DARLING) Yes.

21 MR. DERSTINE: I think that concludes the
22 introduction of our star witness panel.

23 Q. BY MR. DERSTINE: Mr. Beck, the next section
24 involves an overview of Tucson Electric Power Company,
25 its service territory, and where this project sits within

1 the service territory.

2 Can we move forward with that next section.

3 A. (BY MR. BECK) Sure. If you look on the
4 screen, this is related to slide 14 in TEP-5. But
5 because there's a couple of animations in that particular
6 slide, you don't see all the layers.

7 So, as a starting point, this is the TEP set of
8 resources and transmission that provide power into
9 Tucson.

10 You see we have a transmission line that
11 extends from what was the Navajo Power Plant down through
12 Phoenix into Tucson. We have lines that come from Four
13 Corners and San Juan, which are both right there, down
14 through Springerville, where we have another power plant,
15 and down the eastern side of the system into Tucson.

16 And we have some transmission rights that come
17 from Four Corners across the APS system into the northern
18 part of Tucson. We also have some transmission rights
19 that extend through New Mexico. That's that blue line
20 that is off the edge in the white, which is New Mexico.
21 And they attach to the Luna Power Plant and Macho Springs
22 Wind Plant that are down in the Las Cruces area.

23 Now, TEP serves basically all of Tucson and a
24 little bit of Cochise County for Fort Huachuca. It's
25 kind of hard to see on this map, but that yellow outline

1 is the TEP service territory down there.

2 So if we zoom in to that, this is TEP's service
3 territory, basically, the city of Tucson. And those
4 light green lines, again, I apologize, they're a little
5 bit hard to see on the screen, but those are the existing
6 138kV lines throughout our system.

7 Our service territory is 1,155 square miles.
8 It has a population of somewhat over a million people.
9 We serve 125,000-plus customers. Our peak retail demand
10 is 2,413 megawatts, and we employ 1,528 employees.
11 Those employees are split between -- majority in Tucson.
12 We do have some up in Springerville running the
13 Springerville plant.

14 Our employees donate -- or 25 percent of our
15 employees volunteer and donate volunteer time to efforts
16 around the Tucson area, and we accumulate about 22,000
17 hours a year of volunteerism in the City.

18 The project we're speaking to in this hearing
19 is outlined on this screen with that purple outline.
20 That's our study area. You'll see it similarly
21 throughout our maps and on the placemat.

22 And you may or may not have seen, there's a
23 little yellow triangle popped up right in the center of
24 that. That is the Patriot Substation, which will serve
25 Davis-Monthan.

1 Maybe before we leave this slide, I'll just
2 comment, Ms. DeCorse mentioned donut holes in our system.
3 And it's a term that I've kind of coined for representing
4 parts of our system. And the intent is that we have
5 areas that are voids, that do not have 138kV service
6 today. Those are what I would consider the holes in our
7 donut. We have lines that go around and circle around
8 that are the actual donut itself, but we have those voids
9 internally.

10 And as we progress through this hearing, you're
11 going to hear about DM being one of those holes that we
12 need to fill.

13 Just a little bit of historical contrast or
14 background. This is a map that came out of a saturation
15 study that the company did approximately 20 years ago --
16 or no, 15 years ago, I'm sorry. And I realize it's hard
17 to see, but, again, the point of this is each of those
18 little colored blocks that appear on that map represent
19 the need for a substation, a 138kV substation.

20 You can see that down in the far southeast part
21 of the service territory, there's no density whatsoever,
22 and so we have a very big block. We only need one 138
23 sub to serve a very big area. And as you get into the
24 central part of the city, these blocks all become much
25 smaller just because of load density. And back in that

1 study, we identified the need for additional 138 subs
2 north of Davis-Monthan.

3 And we go on to the project study area, which
4 is slide 16. Again, we're showing the blackout line is
5 our study area for this project. The orange lines
6 represent our 138kV lines. And then it's hard to see,
7 but there are pink lines underlying that that are the
8 46kV system.

9 So, for the most part, this area is served by
10 46kV to the north of DM. In particular, Davis-Monthan
11 itself, that substation right there, is a 46kV substation
12 serving the base today.

13 You'll note that that substation is embedded or
14 buried within the boundaries or the fenceline of
15 Davis-Monthan Air Base. It presents us problems and the
16 base problems should there be outages, especially if it's
17 at the substation location and there's a lockdown of the
18 base, which occurs occasionally. We have to jump through
19 many hoops to be able to get on base under those
20 lockdowns, and it's not a fast response.

21 So you're going to hear a little bit about
22 moving that substation. When we put our 138 in, it will
23 be off the edge of the base or right on the edge of the
24 base. So it will be fenced by TEP and controlled by TEP.
25 It will have a common fence with Davis-Monthan on two

1 sides of it so that they'll take service right across
2 their fenceline onto the base, but our activity at the
3 substation itself will be controlled by TEP. And should
4 there be a lockdown, it won't affect our ability to get
5 into the substation, a very important point for us.

6 Additionally, over time, as we've been looking
7 to try and get 138 to the north of Davis-Monthan, we
8 didn't see an ability to go across what is all of this
9 crosshatched area. You're going to hear that there are
10 kind of two parts to the base: There's the Air Force
11 base itself, and then there's what a lot of people refer
12 to as the Boneyard, which it's actually the maintenance
13 facility for the Air Force that actually handles what we
14 call the Boneyard.

15 And so there are some differences between how
16 the base proper, the Air Force, handles things versus
17 that Boneyard group.

18 CHMN. CHENAL: Where's the Boneyard, Mr. Beck,
19 again?

20 MR. BECK: For the most part, it's this hatched
21 area down in the southeastern part of what's shown as
22 Davis-Monthan. It actually goes across -- this line is
23 Kolb Road. It does cross over Kolb. You'll see some
24 pictures that show a little bit more of that. One of the
25 issues for us is that crossing of Kolb, which we'll be

1 dealing with later on.

2 So the Department of Defense came out with a
3 requirement for resiliency. That gave us an opportunity
4 to work with the base in their best interest to be able
5 to get a line across the base; whereas, historically, we
6 didn't think we could approach them and get approval.
7 Because this was so important to them, they had a real
8 interest in actually allowing us to cross the base, and
9 you'll hear testimony in that regard.

10 Q. BY MR. DERSTINE: All right. Thank you for
11 that, Mr. Beck.

12 This next topic or section is also yours.
13 Before we get into more details about the project, the
14 project overview and the need for the project, you wanted
15 to address what we've headed as this issue of switchyard
16 versus substation.

17 And the Committee's familiar with TEP's prior
18 cases in which TEP will describe substations that are
19 associated with the project, but we specifically do not
20 request that the CEC cover the substations. We don't ask
21 for CEC approval of the substations.

22 We've touched on that issue before. It's come
23 out in describing the project description and the costs,
24 indicating that the costs don't include the substation
25 costs.

1 But you felt it was important to maybe provide
2 a more detailed explanation of TEP's approach to its
3 siting applications that may differ from other
4 applicants. May or may not.

5 Can you tell us why you wanted to dig into this
6 topic a little further?

7 A. (BY MR. BECK) Yes. As I am retiring in April,
8 this is an issue that I've had a very strong position on
9 in previous siting cases relative to the requirement to
10 bring forward a substation versus a switchyard. And my
11 understanding and process has evolved over time as I've
12 been involved in the siting process.

13 Very early on, in siting cases, the company did
14 bring both substations and switchyards to the Committee
15 for approval. We didn't differentiate between one and
16 the other.

17 And as I got more deeply involved and began to
18 look very closely at the statutes and the rules as they
19 were written, very specifically, the definition of a
20 transmission line versus a plant, but a transmission
21 line, which we're typically siting, is very specific.

22 And on slide 18, you'll see that A.R.S.
23 40-360.10 defines a "transmission line" as a series of
24 new structures erected above ground and supporting one or
25 more conductors designed for the transmission of electric

1 energy at nominal voltages of 115,000 volts or more and
2 of all new switchyards to be used therewith.

3 And I know this has become an issue in some
4 recent cases with other companies as to whether is a
5 switchyard a substation or a substation a switchyard.
6 Are they one and the same. Are they interchangeable.

7 And my position as I've been working with this
8 was that I think the drafters of the statute probably had
9 something strongly in mind when they used the term
10 "switchyard."

11 A switchyard typically serves two purposes:
12 One is to interconnect a transmission line to a
13 generator, and the other is to interconnect transmission
14 lines and to save voltage. So when you're developing a
15 line, at least historically in the timeframe when the
16 drafters were drafting these documents, for the most
17 part, it was new generation going in. Especially here in
18 Arizona, we have long transmission lines going from
19 remote generation. So you always had a generation plant.
20 You built a switchyard. You connected a transmission
21 line to it. That transmission line ran to load areas.
22 And then you put substations down at the end to serve
23 distribution and/or commercial load.

24 So I felt that they probably really did have
25 that concept in mind. And in one of the cases just prior

1 to me kind of taking on the siting process, we got bogged
2 down in a lot of discussion with the Siting Committee
3 over the equipment within a substation because that was
4 an instance where we had actually brought forward a
5 substation as part of our application. So the Committee
6 felt it necessary to get into, well, what will the
7 ultimate substation look like there. We want to have
8 everything covered.

9 The problem is that our planning process is a
10 long-term process. We identify the needs for lines in an
11 area. The substations usually come, to a large degree,
12 later. It's as the growth develops and you see what you
13 need, you'll identify the need for a substation, and you
14 put it in. If you put a substation in with the line
15 early on when you're just siting that line, you know you
16 need a substation there, but you really don't know the
17 ultimate configuration.

18 So I would question whether it's worth the
19 Committee's time and effort and the applicant's time and
20 effort to try to determine that ultimate on something
21 that, at least in my mind, is pretty clear that the
22 drafters didn't intend to be considered in a siting case,
23 that they were going for a switchyard.

24 Q. Mr. Beck, from what you've said, it's my
25 understanding you were involved with the drafting of the

1 line siting statute. Have you had occasion to speak with
2 anyone who was involved with the drafting of statute?

3 (BY MR. BECK) Yes, I have. So in
4 approximately the early 2000s, 2003, slightly before, TEP
5 was doing a project jointly with AEPCO, Arizona Electric
6 Power Co-op, called the Winchester Substation. And that
7 involved interconnection to our 345kV system.

8 But we were having a -- I was having a
9 conversation with Mr. Gary Grimm, who was the engineering
10 manager of AEPCO at the time, regarding the need for
11 siting, what should be considered a transmission line,
12 how many structures, substations, switchyards.

13 And Mr. Grimm said that they had a letter
14 produced by their outside attorney that gave an opinion
15 on substations, switchyards, number of structures, need
16 for transmission lines to go through siting.

17 So he agreed to provide me a copy of that
18 letter, which is slide 19 up on the screen. And of
19 particular interest, I think, is the third paragraph,
20 which is highlighted on the right-hand side of the
21 screen.

22 This letter is from Mr. Michael Grant. He was
23 the outside attorney of Arizona Electric Power. He was
24 writing in response to our question about -- it was
25 specifically a mining project that they were asking

1 whether they needed to go through siting for.

2 But, interestingly enough, there's this
3 statement that Mr. Grant put in his letter, and I'll read
4 it. He said: "I discussed this conclusion recently with
5 Tom Parish of Arizona Public Service. Mr. Parish was
6 involved in the drafting and passage of the Committee
7 statutes some 20 years ago. Mr. Parish agreed with this
8 conclusion and stated the term 'switchyard' was
9 specifically chosen at that time so as not to include
10 substation construction in Committee jurisdiction."

11 So this, in my mind, served to support the
12 position that TEP had started to take that we were not
13 required by law to bring switchyards -- or substations
14 forward in an application for approval, only switchyards.
15 But that didn't mean that we wouldn't bring all of the
16 information and pictures and so on of what a substation
17 might look like in our case. It was just that we were
18 not asking for approval of the substation specifically.

19 Q. Mr. Beck, the letter that you're referring to
20 that's on the left screen, that's the same letter that's
21 been marked as TEP-15 that we were able to locate on the
22 iPads as the last exhibit in our exhibit filing; is that
23 right?

24 A. (BY MR. BECK) That is correct. And just for
25 the record, Mr. Parish was, at the time this was written,

1 an attorney for Arizona Public Service, and Mr. Grant was
2 reaching out to him for his discussion.

3 Q. I just want to make sure. I think my question
4 was, had you spoken with anyone? My understanding is you
5 did -- you haven't spoken to anyone directly, but this
6 letter recounts a conversation between Mr. Grant and
7 Mr. Parish on the issue of the inclusion of switchyards
8 and, as it's stated here, the exclusion of substations
9 from the statute language?

10 A. (BY MR. BECK) Yes, that is correct. I
11 happened to come across this letter as I was working
12 through some old files.

13 MEMBER WOODALL: Mr. Chairman.

14 CHMN. CHENAL: Yes, Member Woodall.

15 MEMBER WOODALL: I did have a question.

16 Mr. Beck was just talking about a letter. Is this a good
17 time or should I wait? My faint recollection is that
18 there is a rule of statutory construction that we read
19 the words and that the expressed intentions or memories
20 of the people who wrote the words are really not relevant
21 in interpreting the statute.

22 Am I -- does that sound familiar to you at all?

23 MR. DERSTINE: I think that's probably a fair
24 statement of the rule of statutory construction.

25 MEMBER WOODALL: What I will say is I accept

1 Mr. Beck's expert opinion regarding switchyards and what
2 they are. But I'm not being influenced so much regarding
3 what somebody else 20 years ago thought was the case.
4 And I'm particularly appreciative of Mr. Beck as giving
5 us his technical last will and testament on the topic.

6 So, thank you.

7 Q. BY MR. DERSTINE: And I guess, to that point,
8 Mr. Beck, your view -- and you view this letter as
9 supporting what -- your interpretation and reading of the
10 statute, which you came to independently of this letter.
11 This letter came to you after the fact, after you had
12 already made your -- reached your conclusions about how
13 you thought TEP should approach its siting applications
14 under the language of the statute. Is that a fair
15 statement?

16 A. (BY MR. BECK) Yes, that's correct.

17 Q. BY MR. DERSTINE: And we simply offer it for
18 whatever evidentiary value it is in terms of -- for this
19 Committee. But it's more a matter of this was, I guess,
20 memorialized as a conversation you had with Mr. Grimm at
21 AEPCO, and he provided this letter to you as part of your
22 discussions over this issue, and it's in line with your
23 independent thoughts on it?

24 A. (BY MR. BECK) Correct.

25 Q. Now, Mr. Beck, you're also aware, however, that

1 other applicants who file applications for projects like
2 the one we're here for today do include substations in
3 their siting applications. Are they wrong in doing that?

4 A. (BY MR. BECK) No, they're not wrong. That's a
5 choice they can make.

6 And, again, it's not TEP's position that we do
7 not bring forward the information on substations in our
8 cases. It's that we choose not to ask for specific
9 approval of substations, only of switchyards. But should
10 others choose to request approval, I don't see a problem
11 with that.

12 CHMN. CHENAL: Mr. Haenichen.

13 MEMBER HAENICHEN: Thank you.

14 Mr. Beck, correct me if I'm wrong, but I've
15 been at a lot of these hearings. It seems to me there
16 are cases when a physical piece of property on which a
17 switchyard is constructed also has on it either one or
18 more substations. Is that a correct conclusion?

19 MR. BECK: Yes, there are situations like that.

20 MEMBER HAENICHEN: Well, now, a question to the
21 legal people here: Does it make those come under the
22 jurisdiction of the Committee just by connection or some
23 other phrase?

24 MR. BECK: Well, this is not a legal opinion,
25 but my personal opinion would be that to the extent there

1 is a switchyard associated with the substation on the
2 same sized property, at least from TEP's perspective, we
3 would ask for approval of that switchyard, provide all
4 the information related to the substation, but not ask
5 for approval of the substation itself. They can be shown
6 specifically on the drawings as to which part is the
7 switchyard and which part is the substation.

8 MEMBER HAENICHEN: But feeling that, wouldn't
9 the substations be tacitly on the definition of meeting
10 approval from the Committee?

11 MR. BECK: That truly is a legal opinion.

12 CHMN. CHENAL: We don't need to answer all
13 these questions today, Mr. Beck. I appreciate it. I
14 know this came up at our prehearing conference --
15 prefiling or prehearing conference. I know you raised
16 it.

17 I wouldn't be doing my job if I didn't at least
18 note that there is another argument, which is that a
19 substation that -- from what I've learned from other
20 hearings is composed of switchyards and -- a switchyard
21 and transformers; correct?

22 MR. BECK: Arguably. The layout typically for
23 the switchyard portion to connect the transmission lines
24 can be separate and apart from the part that has the
25 transformation. And so if you're looking at what the

1 functionality is, functionality of the switchyard is to
2 protect the lines and the generators. The substations
3 are more for load-serving purposes.

4 CHMN. CHENAL: So there are situations where
5 there are substations with no switchyards?

6 MR. BECK: Yes.

7 CHMN. CHENAL: Okay. So let's just confine our
8 discussion to substations that include switchyards. So
9 in those cases, you have a substation with a switchyard
10 and something else?

11 MR. BECK: Yes.

12 CHMN. CHENAL: So this is statutory
13 construction. If it's a series of transmission lines and
14 switchyards -- what's the word -- I lost my page now with
15 the statute. It's the -- it's connected -- what's the
16 statutory definition again?

17 Okay. So if we're dealing with transmission
18 lines, a series of structures and new switchyards to be
19 used therewith and related thereto, I mean, one could
20 argue that even if there are also some transformers in
21 addition to that, at least that would still meet the
22 definition of something that would come within the
23 jurisdiction of the Line Siting Committee?

24 MR. BECK: Possibly. Again, not having been
25 there when these were drafted, another interpretation

1 could be that switchyards at that time were really
2 considered the connections to the generating plants, and
3 they were only looking for the upstream end and not the
4 downstream end.

5 CHMN. CHENAL: So we just had a data center
6 case in Mesa where we had a 240kV line that was going to
7 drop down into the data center area, and there was a
8 substation there. Well, it was a switchyard, actually.
9 It really didn't have transformers. It was simply a
10 switchyard that would then connect the transmission line
11 to the project site, connect with the switchyard, and
12 then go on to provide power to the different areas within
13 the project site.

14 So that, you would agree, would be something
15 within the jurisdiction of the Committee?

16 MR. BECK: There, again, the switchyard
17 portion, definitely.

18 One other issue relative to substations is,
19 typically, sub -- if you have to add a substation to a
20 project, to an existing line, and you put it right under
21 the line, it has not been TEP's practice to come forward
22 and request a CEC for just the substation unless it's
23 associated with three or more structures at that
24 location.

25 So if you're not going to be siting substations

1 like that, should you -- or getting approval, should you
2 be getting approval of substations that are just
3 associated with the end of a line?

4 CHMN. CHENAL: Well, in fact, the letter that
5 you put up in Exhibit 15 was that case. It was simply a
6 substation. It was not any lines associated with it.
7 And I think that was one of the reasons the attorney gave
8 in his opinion as to why, even if switchyards -- even if
9 substations were deemed to be switchyards, it still has
10 to be associated with a series of structures, and that
11 was absent in that case.

12 MR. BECK: Right. Correct.

13 CHMN. CHENAL: So we're still back to if a
14 substation includes switchyards and transformers and the
15 switchyards themselves are associated with or connected
16 with the series of lines, does that meet the statutory
17 definition? And that's something I don't think we're
18 going to answer today, Mr. Beck. But your opinion -- and
19 it's appreciated, because you bring experience and
20 knowledge to it. And, certainly, it's a very reasonable
21 interpretation.

22 You'll notice that this Committee and maybe me,
23 but historically, has not really gone -- tried to make a
24 final decision on that issue. So we have heard
25 applications where substations were included, and we

1 certainly are hearing this case where this will involve a
2 couple substations, and they're not technically part of
3 your application.

4 Maybe we should. Maybe we should have that
5 issue finally determined. But I think this Committee has
6 just historically not wanted to decide that issue and
7 allow the applicants to make that decision.

8 Mr. Haenichen.

9 MEMBER HAENICHEN: I think we all agree that
10 this is a complicated question that's not easy to answer
11 in this room today, but maybe it requires a revisitation
12 to the statute by some entity within the seat of
13 government to clarify it.

14 Q. BY MR. DERSTINE: Mr. Beck, do you want to move
15 to slide 21 and kind of recap what TEP's approach is to
16 its siting applications and summarize that for the
17 Committee?

18 A. (BY MR. BECK) Yes. On slide 20, you'll see
19 that I'm recapping our position.

20 If one of our CEC applications includes a
21 switchyard, we would bring the switchyard itself forward
22 for approval by the Committee.

23 If the CEC application includes only a
24 substation, we will not ask approval of the substation,
25 but we will provide all of the information related to

1 that substation for the knowledge of the Committee.

2 Again, I felt Mr. Grant's letter at least lends
3 support to our position, while it's not definitive, and
4 our position is consistent at least with our local
5 requirements within Pima County and the city of Tucson
6 where the bulk of our service territory is located.

7 Q. Can you expand on that last point a little bit?
8 What do you mean by the -- it's consistent with local
9 requirements?

10 A. (BY MR. BECK) Sure.

11 Within Pima County, TEP is required to obtain a
12 power substation permit per our Pima County Zoning Code.
13 It's specific to substations and doesn't mention
14 switchyards.

15 And there, my understanding is the thought when
16 that was drafted was that switchyards were covered by the
17 Commission and Committee. And, therefore, the local
18 zoning ordinance didn't apply, so they wrote it
19 specifically for substations.

20 And we have had that tested in a previous case,
21 where a project would not have been permitted by Pima
22 County if it had had a substation in it. And because it
23 only had a switchyard, the project went -- the CEC went
24 forward, and they understood that the ACC had the power
25 to make that happen.

1 Likewise, in the City of Tucson, depending on
2 the underlying zoning and requirements, we many times
3 have to obtain a special exception land use permit for
4 substations. Specifically, again, substations and not
5 switchyards.

6 So both of our jurisdictions require permitting
7 for substations, not switchyards, which is at least
8 consistent with the concept that the ACC has jurisdiction
9 over switchyards, while the local authorities have
10 jurisdiction over substations.

11 Q. And, Mr. Beck, just getting into the
12 definitional language just a little bit -- and the
13 Chairman touched on it -- I guess it's as much for my
14 education and having you put an answer on the record: If
15 you have a switch and a bus and transformers, is that a
16 switchyard or a substation?

17 A. (BY MR. BECK) If it has transformation, we
18 would consider it a substation.

19 Q. And is that really the bright-line distinction
20 between a switchyard and a substation, that a substation
21 includes transformers of some size and capacity?

22 A. (BY MR. BECK) Generally, that is the
23 definition of a substation that is used by most people
24 within the industry.

25 Q. And are you aware of -- to your knowledge, does

1 Pima County or any of the other jurisdictions where
2 Tucson Electric Power serves, are there any other land
3 use regulations that govern switchyards?

4 A. (BY MR. BECK) Yes. In Santa Cruz County
5 specifically, we serve Nogales, and they have a
6 conditional use permit process that we have to go through
7 for substations.

8 Q. My question was, specifically, are you aware of
9 any local land use or zoning regulations that pertain to
10 switchyards as opposed to substations?

11 A. (BY MR. BECK) No, I am not.

12 Q. Ms. Darling, this is one of your areas of
13 expertise in terms of land use and zoning regulations.

14 Are you familiar with or aware of any Arizona
15 state regulation -- local regulations that govern
16 switchyards as opposed to substations?

17 A. (BY MS. DARLING) No. I've had the occasion to
18 review all of the counties in Arizona, their zoning codes
19 and land use codes, and there are none that mention
20 switchyards.

21 Q. And is it a true statement that there are a
22 number of land use or zoning regulations that do
23 specifically call out substations and impose some sort of
24 permitting requirement on -- specifically on substations?

25 A. (BY MS. DARLING) That is correct. Generally

1 speaking, and dependent upon zoning, they do have special
2 use permits within all the counties of Arizona.

3 Q. So, Mr. Beck, I guess to wrap up this topic,
4 and hopefully, we haven't belabored it, TEP isn't asking
5 this Committee to do anything different than what it's
6 done in the past. You simply wanted to make a record on
7 your thinking and what has become TEP's approach to its
8 siting applications when they involve substations?

9 A. (BY MR. BECK) That is correct. Just to put on
10 the record what TEP's current position is.

11 CHMN. CHENAL: Thank you for that, Mr. Beck.
12 Mr. Haenichen.

13 MEMBER HAENICHEN: One of the things we try to
14 do in this Committee is to enhance our own knowledge base
15 on questions like the one we're doing here today.

16 So I'm going to take the privilege of taking
17 the existing conversation we've just had and propose a
18 theoretical situation.

19 We have a piece of land on which we're going to
20 put facilities, and we'll call it a switchyard. This
21 switchyard does not generate electricity but, rather,
22 takes electricity that's been generated elsewhere on a
23 large transmission voltage transmission line and then
24 divvies it up, so to speak, and splits it into a number
25 of output lines that go to various needs within the

1 service area of the facility.

2 My question is this: Does the definition of a
3 switchyard demand that if the voltage of the incoming
4 supply line to the switchyard is some number, let's say
5 150kV, then all the output lines from that have to be
6 150kV; or might there be transformers in there to drop it
7 down to lower voltages which may or may not be
8 transmission and then serve the needs?

9 MR. BECK: My response to that, Mr. Haenichen,
10 would be that if it's the same voltage, it's a
11 switchyard. But if it's going to go out at a different
12 voltage, there has to be a transformer in there. And
13 then we would call it a substation.

14 MEMBER HAENICHEN: So now the facility is a
15 combination switchyards and substation or multiple
16 substations?

17 MR. BECK: It very specifically depends on how
18 the equipment is configured.

19 MEMBER HAENICHEN: Does that frequently happen
20 in your experience, where the voltage goes out lower than
21 it came in?

22 MR. BECK: It does happen, yes.

23 MEMBER HAENICHEN: Thank you.

24 MR. BECK: So one other nuance I'll just add
25 relative to the issue of substations is that if the

1 Committee is approving a substation as part of a project
2 and you want to approve kind of an ultimate design for
3 that substation or what's considered the ultimate design
4 where it puts the company in a position where, if five
5 years down the road, conditions change and that
6 substation equipment changes, for one thing, different
7 technology comes in, then we would have to go back,
8 theoretically, and amend that CEC to adjust that language
9 that talked about the ultimate configuration.

10 And that's where I saw a real problem in the
11 first case I was exposed to where a substation was part
12 of the process, and it actually dictated what that future
13 substation would look like. So one of the things that
14 we've got in the back of our mind is that particular
15 substation, if things change over time, do we have to
16 come back and amend that CEC?

17 Which goes to a previous question I've raised,
18 which we don't have an answer to, but is there a life to
19 a CEC or not? If something is approved, say, for five
20 years and we build at year four and a half, the
21 facilities are in, what does it mean for that substation
22 approval if it's kind of a future ultimate phase? It's a
23 complicated issue.

24 MEMBER HAENICHEN: It is.

25 Thank you.

1 CHMN. CHENAL: Yes, Member Riggins.

2 MEMBER RIGGINS: And just -- and to that point,
3 too, Mr. Beck, I think you and Ms. Darling had mentioned
4 that because substations aren't technically defined in
5 statute, that they're local ordinances and zoning. So
6 would there be conflict in that fact as well if the
7 Committee did take into account and impose certain
8 conditions for substations, but you have to meet certain
9 conditions for the county zoning as well?

10 MR. BECK: It could definitely raise concerns
11 and issues between jurisdictions.

12 We've had experience with cases where federal
13 versus state. And this would be state versus local. Who
14 has control and what trumps would be a major issue to be
15 dealt with.

16 MEMBER RIGGINS: Thanks.

17 CHMN. CHENAL: I guess we leave it at that.
18 There are some applicants that believe the substations
19 that contain switchyards and a series of structures do
20 meet the statutory requirement for this Committee and
21 others that don't.

22 But I think, Mr. Beck, it's especially
23 important to have your perspective on it. I know I
24 appreciate it. I don't necessarily agree with it, but I
25 appreciate it.

1 MR. BECK: I understand.

2 Q. BY MR. DERSTINE: All right. Mr. Raatz, we're
3 going to move on from --

4 CHMN. CHENAL: Let's do this. If we're going
5 to get to a different area, let's take a ten-minute
6 break.

7 (A recess was taken from 2:25 p.m. to
8 3:05 p.m.)

9 CHMN. CHENAL: This is the time to go back on
10 the record and resume the hearing. The witnesses are
11 sworn in.

12 So, Mr. Derstine, Ms. DeCorse.

13 MR. DERSTINE: Thank you, Mr. Chairman. We'll
14 bring everyone back slowly from the ice cream sugar coma.

15 MEMBER HAENICHEN: I can't hear you.

16 MR. DERSTINE: I turned it off. How about
17 that? Got it? Thank you.

18 Q. BY MR. DERSTINE: Mr. Raatz, this is going to
19 be the next several sections of your areas of testimony.

20 Before we jump into the project overview,
21 however, you and I are going to cover the application and
22 one additional topic.

23 So let's start with that. The application is
24 marked as TEP Exhibit 1. And you assisted in the
25 preparation of the application; is that right?

1 A. (BY MR. RAATZ) Yes, that's correct.

2 Q. And when I introduced you as a part of the
3 witness panel, you mentioned that there were certain
4 corrections that needed to be made to the application
5 that you had covered in your direct testimony. Do I have
6 that right?

7 A. (BY MR. RAATZ) Yes, that's correct.

8 Q. So let's do that now. Let's have you cover
9 those changes and corrections to the application, TEP-1,
10 if we can do that.

11 A. (BY MR. RAATZ) Okay. The first change is in
12 respect to Exhibit G-5 in the application. It's on page
13 179 of the application.

14 And what it replaces is their Key Observation
15 Point No. 1. And it's kind of hard to see on the right
16 screen here, but this is what is in the application on
17 the left-hand side of the screen.

18 And you can see the attachment points for that
19 conductor here are a little lower. And so we went back
20 and modified it to what it should be. So we will be
21 providing that as TEP Exhibit 12.

22 Q. Okay. So what we have on the right screen is a
23 comparison of the simulation that was filed in connection
24 in the application as KOP No. 1. And you're substituting
25 in a new simulation of KOP No. 1. And that will replace

1 the original KOP, and it will go on Exhibit page 179.

2 Do I have all those right?

3 A. (BY MR. RAATZ) Yes, that's correct.

4 Q. And that substituted simulation for KOP 1 is
5 what was contained in our original exhibit filing as
6 TEP-12; is that right?

7 A. (BY MR. RAATZ) No.

8 Q. No. TEP -- it is TEP Exhibit 12?

9 A. (BY MR. RAATZ) That is the replacement. Yes,
10 that's correct.

11 Q. Okay. All right. So that's change No. 1.

12 What's the next change that needs to be made to
13 the application?

14 A. (BY MR. RAATZ) The next change is with respect
15 to Exhibit I on page 232 of the application, section 1.5.
16 It's a summary of references. And within the original
17 document, the reference for the EMF study conducted was
18 incorrect.

19 And so we'll be replacing this with TEP
20 Exhibit 13, and it has the correct reference for the EMF
21 study conducted.

22 Q. All right. So TEP-13 is the corrected Exhibit
23 Page 232 to the application. And the change that was
24 made on that page is simply a correction to the reference
25 to the EMF study that was performed for this project?

1 A. (BY MR. RAATZ) That's correct.

2 Q. What else do you have?

3 A. One more is Exhibit I-2 on Exhibit Page 235 of
4 the application. It is the cover page to the EMF study
5 conducted on behalf of the project. Just in the upper
6 right-hand corner, it states Exhibit I-22. So it needs
7 to be replaced with Exhibit TEP-14, and it has the
8 correct reference of Exhibit I-2.

9 Q. So the change here was simply an error in
10 referencing the exhibit, and TEP-14 makes that
11 correction; is that right?

12 A. (BY MR. RAATZ) That is correct.

13 Q. And I think that you mentioned that there is
14 now also a fourth change.

15 A. (BY MR. RAATZ) Yes, I do.

16 Q. And what is that?

17 A. (BY MR. RAATZ) In my direct testimony, I state
18 on page -- or, excuse me, in the application on page 1,
19 section A.2, we discuss a corridor width. It's not
20 incorrect. We asked for a 300-foot corridor. However,
21 throughout the CEC application process, we've determined
22 we need a wider corridor for a smaller portion of the
23 line.

24 So, as Ms. DeCorse spoke to, we will be
25 requesting a 900-foot corridor for a portion of the line

1 that is approximately half a mile long along the Kolb
2 Road on the southern end of the project.

3 Q. And are we going to get into greater detail
4 about that half-mile segment where we're asking for an
5 expanded corridor later in your testimony?

6 A. (BY MR. RAATZ) Yes, sir.

7 Q. But that's the last, fourth, and final change
8 to the application that you noted at the outset needed to
9 be made to the application and also needed to be made to
10 your direct testimony?

11 A. (BY MR. RAATZ) That's correct.

12 Q. One of the requirements in filing the
13 application is that the project be included in the
14 applicant's ten-year plan. Was that done?

15 A. (BY MR. RAATZ) Yes, that was.

16 Q. And this project, then, was included in the
17 ten-year plan filing that was made January of this year?

18 A. (BY MR. RAATZ) That is correct.

19 Q. So let's now go to the project overview.

20 Maybe the place to start is to finally walk us
21 through the route alternatives that are presented in the
22 application. Is that a good place to start?

23 A. (BY MR. RAATZ) Yes, absolutely.

24 So on the upper right-hand screen here, we have
25 the existing system. You can see the orangish lines that

1 represent the 138kV system existing, and the pinkish
2 lines represent the existing 46kV system. And this area
3 here is the Davis-Monthan Air Force Base.

4 And so the purple line here represents the
5 study area that was developed as part of this project.
6 And that study area is determined based on the beginning
7 and end points of the project. And what that study area
8 represents is the area of notification required for the
9 project Ms. Darling will speak to later in her testimony.

10 And so, for this project, we will be
11 interconnecting into the existing Irvington Substation
12 and terminating at the existing East Loop Substation with
13 interconnections into the Port and Patriot Substation.

14 One thing to keep in mind here is the portion
15 between Irvington and Patriot is common to all routes --
16 or, excuse me, common to all alternatives. And we'll be
17 speaking to this later on in our testimony.

18 So the common portion goes from Irvington and
19 down, up through Patriot Substation. And then from
20 Patriot, it continues north to the East Loop Substation.

21 There are portions of this alternative that
22 have double-circuit 46 on one side and 138 on the other
23 side. Those are represented in the yellow line here.
24 And what this is for is to support the Raptor Ridge solar
25 facility. And I'll be speaking to that later in my

1 testimony. We took this as an opportunity, rather than
2 build another line to accommodate that 46, to collocate
3 the 46 on the same structure with the 138. And that
4 is --

5 Q. I'm sorry. I just want to make sure I
6 understand.

7 So leaving the Irvington Substation, along the
8 common route, Alternative 1, there is a segment shown in
9 kind of this yellow overlay on Alternative 1 that will
10 not only have the new 138kV circuit, but it will also
11 carry a 46kV circuit. And that 46kV circuit is going to
12 interconnect this new solar project; is that right?

13 A. (BY MR. RAATZ) That is correct.

14 Another location where we have a double-circuit
15 46-138 for Alternative A is right along here. We've got
16 an existing 46kV substation. And the existing line
17 needed to be relocated in order to accommodate
18 Alternative A. So we took this opportunity to collocate
19 the 46 circuit on the same structures as the 138 in this
20 area. And that's only for about three spans. It leaves
21 the South Kolb Substation and continues north to Golf
22 Links, and the 46-138 double-circuit terminates there.

23 Q. So as to the three alternatives that extend
24 from the Patriot Substation to East Loop, Alternative
25 A -- and my eyes aren't great on these colors -- but

1 Alternative A carries for that short segment shown in
2 that overlay of yellow a 46kV circuit; is that right?

3 A. (BY MR. RAATZ) That is correct.

4 There's also a portion on Alternative A where
5 we have double-circuit 138kV structures. And that
6 portion picks up an existing 22nd to East Loop
7 Substation's circuit. And it will be collocated on the
8 new structures. And it extends from 22nd north to the
9 East Loop Substation.

10 In this area, we'll be wrecking out the
11 existing -- we'll be de-energizing and then wrecking out
12 the existing 138kV line and collocating the existing
13 circuit on the new structures within the new transmission
14 corridor. That is the plan as we move forward.

15 Q. And that's one of the important, I think,
16 aspects of this project that the Committee should
17 understand, is that, whenever possible, TEP has attempted
18 to follow an existing line and to consolidate an existing
19 line onto the new line, the structures for the new line,
20 wherever we could do that in order to minimize the number
21 of poles or the number of lines that are running on, say,
22 Pantano Road or Kolb Road; is that correct?

23 A. (BY MR. RAATZ) That is correct.

24 Q. And what you're showing us there is a segment
25 of Alternative A, which will carry an existing 138kV line

1 that you're going to put on the other side the new
2 structures that we're going to build for this project?

3 A. (BY MR. RAATZ) That is correct.

4 Q. But that's if the Committee were to select
5 Alternative A, it would have those features; right?

6 A. (BY MR. RAATZ) That's correct.

7 So here, we have Alternative B2. Once again,
8 Alternative 1 is common to this alternative. It goes
9 from our existing Irvington Substation up to Patriot and
10 then continues east on Escalante and north along Pantano
11 Road. There is an area in here where we do have a little
12 jog in here I'll speak to a little later.

13 So, once again, in Alternative A, we do have
14 double-circuit 138-46 coming from our Irvington
15 Substation, extending up about a mile southeast to
16 support the planned Raptor Ridge solar facility.

17 And this area right here represents what would
18 be double-circuit 138kV structures. There is an existing
19 circuit from our Los Reales Substation up to Pantano.
20 This circuit would be de-energized, the structures
21 wrecked out, and new structures erected and both circuits
22 placed on those structures and reenergized.

23 And then from Pantano to East Loop, the same
24 thing would occur. We would de-energize those
25 structures, wreck out the old structures, place new

1 structures, and then place both circuits on the new
2 structures.

3 Q. So the alternative you're describing here, the
4 first one you covered was C --

5 A. (BY MR. RAATZ) No. The first one was A.

6 Q. A. Okay.

7 And then this one you're describing now is the
8 Alternative B2, right?

9 A. (BY MR. RAATZ) Correct.

10 Q. And if the Committee were -- and B2 happens to
11 be your preferred route?

12 A. (BY MR. RAATZ) Yes, that is correct.

13 Q. And if the Committee were to select B2, one of
14 the key features that you've shown there -- and, Patrick,
15 and you could lay it out -- is that you would be
16 following the route and the corridor on an existing 138kV
17 line and placing both 138kV lines on the same structures
18 so you have a double-circuit 138kV line running from --
19 is that 22nd Street?

20 A. (BY MR. RAATZ) This is Escalante here.

21 Q. Escalante, okay. All the way to East Loop?

22 A. (BY MR. RAATZ) Yes, that's correct.

23 And one of the benefits of this, there is an
24 existing Tucson Meadows neighborhood with this area. And
25 currently, the line goes right through the neighborhood,

1 and properties have kind of encroached upon the
2 right-of-way within the neighborhood. So this
3 Alternative B2 jogs both that circuit and the preferred
4 circuit around that neighborhood and out of it, and it
5 allows easier access for our crews for maintenance as
6 well.

7 MR. DERSTINE: Mr. Dubberly, can you take off
8 the yellow overlay?

9 Q. BY MR. DERSTINE: So is that -- the jog that
10 you were just describing where we're going to move the
11 existing line around a neighborhood subdivision, that's
12 that little triangle portion there?

13 A. (BY MR. RAATZ) Yes, that is.

14 Q. Okay. And can you describe in terms of when
15 the route that B2 follows into East Loop, at some point,
16 you place them on some existing lattice structures. Am I
17 right about that?

18 A. (BY MR. RAATZ) That is correct. That's -- the
19 preliminary design shows that. And I'll speak to that
20 more in the Google Earth Flyover.

21 Q. Okay. All right. Continue on.

22 A. (BY MR. RAATZ) Okay. And, finally, what we
23 have represented here is Alternative C1. And this is
24 very similar to Alternative A in respect that it departs
25 Patriot Substation and continues north on Kolb Road.

1 This is -- just as Alternative A had the double-circuit
2 46-138, this also has double-circuit 46-138 out of the
3 existing Irvington Substation to support the Raptor Ridge
4 planned solar facility. And then about three spans right
5 here of double-circuit 46-138 to accommodate the existing
6 46 circuit.

7 And then, lastly, up here, the difference
8 between Alternative C1 and Alternative A, the main
9 difference, rather than continuing north on Kolb,
10 Alternative C1 heads east on 22nd, where it eventually
11 crosses the Pantano Wash, and it will be just outside on
12 the top of the bank of the Pantano Wash and eventually
13 crosses back to the west side of Pantano Wash and stays
14 along the west side of the Pantano Wash, where it gets
15 into the existing transmission corridor and terminates at
16 the existing East Loop Substation.

17 One thing to note, common to all three
18 alternatives, they'll be constructed with
19 double-circuit-capable weathering steel monopoles.

20 And the distance between all three alternatives
21 will range between approximately 11 and 13 miles. And
22 the number of structures in the preliminary design is
23 approximately between 110 and 123 used on this -- these
24 alternatives.

25 It's TEP's practice to utilize the existing

1 franchise agreement we had with the City and County where
2 possible and stay within the road right-of-way.

3 Q. So the last bullet, if I'm looking at your
4 PowerPoint slide on the left screen, slide No. 23, it
5 notes that the length of routes that you just described
6 ranges between 11 and 13 miles. Do I have that right?

7 A. (BY MR. RAATZ) That's correct.

8 Q. And the last bullet on slide 23 also indicates
9 that the application is requesting a 300-foot corridor.

10 You mentioned, however, that there is a section
11 in which we're asking for more than a 300-foot corridor.
12 I think you mentioned a 900-foot corridor for a half-mile
13 segment. Do I have that right?

14 A. (BY MR. RAATZ) Yes, that is correct.

15 Q. Is this a good time to talk about that?

16 A. (BY MR. RAATZ) Yes.

17 So what we have represented here is the section
18 where we are asking for the 900-foot corridor as we
19 traveled east along Littleton Road and we head north
20 along Kolb Road, which is approximately 2,400 feet where
21 we're requesting the 900-foot corridor.

22 This is due in part to this section of Kolb
23 Road being designated as a Pima County major scenic
24 route. And so with that designation, there's an
25 additional buffer required that extends beyond the

1 right-of-way. So you can't build within that major
2 scenic route buffer.

3 So having the 900-foot corridor allows us the
4 flexibility to build on either the east side or west side
5 of Kolb Road and outside of the buffer.

6 Q. So this scenic road designation is not along
7 Kolb, but it intersects with where Valencia intersects
8 with Kolb Road, and that creates this area in which we
9 have to have and are requesting this larger, wider
10 corridor to accommodate for the scenic corridor and the
11 restrictions that are placed on our ability to put
12 structures close to the roadway. Do I have that right?

13 A. (BY MR. RAATZ) Yes, that's correct.

14 Q. So the 900 feet is a big distance. Again, why
15 are we requesting so much? Is it because the -- well,
16 let me phrase it this way: What does the designation
17 mean in terms of how close we can put our structures to
18 the road?

19 (BY MR. RAATZ) I believe, and I may defer to
20 Ms. Darling on this, but the buffer required is half of
21 the right-of-way. So if the right-of-way were 300 feet,
22 an additional buffer of 150 feet would be required beyond
23 the edge of right-of-way.

24 Q. And so the impact of that buffer means that we
25 need to put the structures for our common route,

1 Alternative 1, outside of the buffer, and that will
2 require that we place them either within -- further
3 within private land -- and I think Ms. Darling is going
4 to address the land ownership in that area -- on either
5 side of Kolb Road at that section as shown on your
6 project overview map on the right screen; right?

7 A. (BY MR. RAATZ) That is correct.

8 One thing to note about the 900 feet, the
9 corridor in this location is centered on the alignment of
10 the alternative. And so the corridor width is -- it
11 would be requesting 150 foot to the east and 750 foot to
12 the west as the preliminary design just had it on the
13 east side of the roadway.

14 CHMN. CHENAL: Excuse me. How wide is the
15 right-of-way at that point?

16 MR. RAATZ: I believe it's 300 feet.

17 CHMN. CHENAL: Either side? Each side or 150
18 each side?

19 MR. RAATZ: 150.

20 Q. BY MR. DERSTINE: Now, we're going to give the
21 Committee more information through your flyover and I
22 think through the testimony of Ms. Darling about this
23 section and what the scenic designation means for this
24 project and why we need more room to build the project in
25 this area; right?

1 A. (BY MR. RAATZ) Yeah, that is correct.

2 Q. Is there anything more that's important to note
3 about the corridor width along this half-mile section of
4 Kolb Road, at least for the time being?

5 A. (BY MR. RAATZ) Not that I'm aware of.

6 Q. Okay. So let's move to the structures that TEP
7 plans to use to construct this project.

8 A. (BY MR. RAATZ) Okay. On the screen on the
9 left-hand side and also seen on your placemats are the
10 representations of the structures that will be used in
11 the project.

12 Starting from the left-hand side, we have
13 what's called a direct-embedded pole. And it's a
14 single-circuit, so it has three insulators, one insulator
15 for each phase making up a circuit.

16 Adjacent to that is a double-circuit
17 direct-embedded pole.

18 And then moving on, we have a single-circuit
19 foundation pole and a double-circuit foundation pole.

20 Now, the difference between the direct-embedded
21 and the foundation poles, these direct-embedded poles
22 could be used along on the right here, along straight
23 segments of the route. And, typically, the conductor
24 just kind of runs through. It doesn't terminate on the
25 pole itself.

1 And for the foundation poles, these are
2 stronger poles. And they are typically used at angle
3 points, and the conductor terminates on those poles. So
4 it would have an angle pole here and here and in unique
5 situations where we have, perhaps, a clearance
6 requirement where we want a stronger structure.

7 Q. So the poles and the pole configurations that
8 you're showing, the two-pole configurations that are
9 shown on the right side of slide 24, would those commonly
10 be referred to as dead-end or turning structures?

11 A. (BY MR. RAATZ) Yes, they would.

12 Q. And that's the difference in terms of the way
13 those poles look, is because you're saying the conductor
14 will actually terminate on each of those arms?

15 A. (BY MR. RAATZ) That is correct.

16 And another thing to note here is the phase
17 facing is a little different on these dead-ends to allow
18 for clearance for the jumpers for insulators.

19 One final thing to note, the overall height of
20 the structures is going to range between 75 feet and 110
21 feet above grade; except where we do have some design
22 considerations, they do go a little higher.

23 Q. Okay. Let's talk about cost.

24 A. (BY MR. RAATZ) Okay. Up on the screen, you
25 can see the costs that were put together for this

1 application.

2 Each alternative cost shown includes the common
3 portion between Irvington and Patriot. The costs shown
4 include removal of existing transmission structures,
5 relocation of existing distribution as would be required,
6 and also construction of the new transmission line.

7 CHMN. CHENAL: Membr Woodall.

8 MEMBER WOODALL: Do these costs include the
9 cost of the switchyard?

10 MR. RAATZ: No, they do not. It's a
11 substation.

12 MEMBER WOODALL: So they do not include that?

13 MR. RAATZ: No, they do not.

14 MEMBER WOODALL: So you're not putting in a
15 switchyard?

16 MR. RAATZ: No, we're not. We're putting in a
17 substation.

18 MEMBER WOODALL: Okay. But the substation
19 costs are not included here?

20 MR. RAATZ: That's correct.

21 MEMBER WOODALL: Okay. Any idea how much,
22 maybe a ballpark, before we're done?

23 MR. RAATZ: Ballpark, before we're done,
24 estimate?

25 MEMBER WOODALL: Yes.

1 MR. RAATZ: So, as I was saying, the variation
2 in costs are dependent upon the length of construction,
3 the amount of removal, and acquisition of land rights
4 acquired and an overall cost range between 17.85 million
5 and 19.88 million. The cost for the preferred route is
6 18.98 million.

7 And we will touch on why this is our preferred
8 route even though it's not the least expensive. We'll
9 discuss why it's our preferred route later on in
10 testimony.

11 Q. BY MR. DERSTINE: And all of those cost
12 estimates include the common route?

13 A. (BY MR. RAATZ) Yes, that's correct.

14 And one last thing that these costs include is
15 any mitigation that would be required for cathodic
16 protection for railroad or gas lines or water lines.

17 CHMN. CHENAL: Would you expand on that,
18 please, on cathodic studies and gas lines, please.

19 MR. RAATZ: Yeah. So if we parallel a gas line
20 or railroad, we have to conduct a cathodic study to see
21 if we're going to have any impact on the lines itself.
22 And if it's found that we do, we go in and put
23 mitigation. And it's basically a sacrificial element
24 that would be placed in proximity of the gas line, and so
25 it would kind of corrode rather than the gas line itself.

1 CHMN. CHENAL: What is a cathodic study, and
2 why do you do it?

3 MR. RAATZ: A cathodic study is done to try to
4 determine if the transmission line will have any negative
5 impact on the existing infrastructure, such as a gas line
6 or the railroad or a water line. And it's done for, you
7 know, steel gas lines or water lines.

8 And so the results of the study will indicate
9 whether or not this transmission line would have any
10 negative impact to the existing gas line or water line.

11 CHMN. CHENAL: What's a negative impact?

12 MR. RAATZ: A negative impact would be
13 corrosion, so degradation of the existing gas line or
14 water line.

15 So in the past, for instance, I believe a case
16 Mr. Beck had worked on, DMP to Tucson, we had to do a
17 cathodic study for the railroad. And the results of the
18 study indicated that we had to put in a sacrificial
19 copper wire adjacent to the railroad. So the thought is
20 that that will corrode rather than the railroad.

21 No?

22 MR. BECK: Mr. Chairman, just to clarify for
23 the record, on our DMP project, we did do a study, and it
24 was for interference of the communication signals on the
25 railroad. And we had to bury a parallel ground wire in

1 that instance to overcome those issues.

2 But a cathodic protection study has
3 similarities in that you study any interaction between
4 power flowing on the transmission line and any flows it
5 may create that go back through a buried pipeline
6 underground and cause catholosis, I believe it is, on the
7 pipe that wears the pipe away. And if it goes on long
8 enough, potentially, you could have a leak, whether it be
9 gas or water. So you put in preventive measures to
10 prevent that wear on the pipe if you see an interaction.

11 CHMN. CHENAL: Thank you.

12 And since we're on the topic, I've actually
13 gone online in this case, and I know that there are gas
14 lines and hazardous gas lines in proximity to where this
15 line is going to be placed.

16 Tell us how you go about determining whether or
17 not there's gas lines within a mile of where the lines
18 are going to be.

19 MR. RAATZ: Well, I'm going to maybe defer to
20 Renee a little bit. But the original -- for the initial
21 design consideration, we would work with the existing
22 utility companies to obtain maps of where those gas lines
23 would be located or they'd have shapefiles, GIS
24 shapefiles. Same thing with the water or communications.

25 And we do that to the best of our ability in

1 the initial stage, and we put them on our GIS --
2 incorporate them into our GIS data, and that is used by
3 engineering to determine pole placement so there's no
4 conflicts.

5 But as we move further out through the design
6 and get an actual completed design, we would get the Blue
7 Stake done. And so we would call Blue Stake to confirm
8 that there's no conflicts where we have our proposed
9 structures.

10 CHMN. CHENAL: So, normally, you determine the
11 existence of gas lines when you're in the planning and
12 engineering phase after the CEC is granted; is that
13 correct?

14 MR. RAATZ: Well, we actually -- when we are in
15 the CEC phase, we start that process, but it's not as
16 accurate as a Blue Stake process. They're shapefiles,
17 and so they may fall somewhere within the proximity of
18 the right-of-way that we have in our GIS database, but
19 they won't necessarily line up the exact location. Blue
20 Stake would give you a better -- really tie it down.

21 CHMN. CHENAL: Member Haenichen.

22 MEMBER HAENICHEN: Once a line like this is
23 completed and it's built and energized, is there a way to
24 make an instantaneous measurement as to whether or not
25 this phenomenon is taking place?

1 MR. RAATZ: I'm going to defer to Mr. Beck.

2 MR. BECK: Mr. Chairman, Member Haenichen, I
3 believe that, particularly in gas lines, they do have
4 measurement capabilities on those lines to see what's
5 happening. That's their business, and they do it versus
6 us typically doing it.

7 We can, through our study processes, kind of
8 estimate what that might look like and what the impacts
9 could be. But, again, after the fact, it's really on
10 them to let us know if there are issues.

11 MEMBER HAENICHEN: Okay. Let's say the line is
12 energized and they do make such a detection, what do you
13 do then? Do have to mitigate that, "you" being the
14 electrical part of the system?

15 MR. BECK: Between the two entities, we would
16 have to, in some way, mitigate that. Typically, there
17 would be a lot of discussion in the design phase that
18 they would raise the issue, We have a gas line, we're
19 concerned about it, we need to do a study. If those
20 study results put any question in their mind, then we
21 would probably prenegotiate who's going to do what to
22 resolve the issues.

23 MEMBER HAENICHEN: Just for the peace of mind
24 of the Committee members, I'm going to make a statement,
25 and you can tell me whether it's true or false.

1 These effects are not instantaneous. They're
2 gradual things. There's gradual erosion of the
3 situation. So you've got plenty of time to figure it
4 out.

5 MR. BECK: That's correct, Mr. Haenichen, that
6 it's a long-term process of catholosis that isn't
7 immediate.

8 CHMN. CHENAL: Thank you.

9 Q. BY MR. DERSTINE: And I think, just for now, to
10 close the loop on the cathodic protection issue, I
11 believe both the CEC for this case as well as the other
12 cases that I've been involved with all included a
13 condition regarding cathodic protection. Am I right
14 about that, Mr. Beck?

15 A. (BY MR. BECK) That is correct. There is a
16 condition. The condition states the specifics of when
17 such a study has to be done.

18 So your typical lines that are crossing -- a
19 gas line that's crossing our alignment typically wouldn't
20 have a study done because there's really very little to
21 no impact.

22 Just for the record, the requirement for that
23 study and that condition actually dates back to one of
24 our early cases, and there was a lot of concern about a
25 gas line associated with the project. And the Commission

1 brought in their gas site personnel to talk through the
2 issues. I think they helped draft the condition. And
3 that condition has been refined over many cases to where
4 I think it's in pretty good shape now. But the original
5 version of that condition was a little bit questionable.

6 CHMN. CHENAL: And that's in the -- that's one
7 of the conditions that's in the proposed CEC from the
8 applicant; is that correct?

9 MR. DERSTINE: That's correct. I believe it's
10 Condition 17 in the proposed CEC that we've filed with
11 our exhibits.

12 CHMN. CHENAL: Member Woodall.

13 MEMBER WOODALL: Mr. Chairman, did we get a
14 letter from Staff?

15 CHMN. CHENAL: No, I have not gotten a letter
16 from Staff.

17 MEMBER WOODALL: I didn't think so.

18 Mr. Beck, based upon your long experience in
19 these matters, do you believe that Staff may be
20 supportive of Condition 17, which talks about hazardous
21 gas pipelines, etc.?

22 MR. BECK: Member Woodall, I do believe they
23 would be supportive. And relative to getting a position
24 from them, we have been dealing with some data requests
25 from them up until even as late as Friday.

1 MEMBER WOODALL: Okay. Thank you.

2 Q. BY MR. DERSTINE: Mr. Raatz, I think that
3 concludes the project overview section.

4 We're going to move on to purpose and need
5 unless I've missed something. Is there anything you
6 wanted to add on the overview piece?

7 A. (BY MR. RAATZ) No, sir.

8 CHMN. CHENAL: Member Haenichen has a question.

9 MEMBER HAENICHEN: Mr. Raatz or Mr. Beck,
10 either one or both, I've written down a number of not
11 concerns but questions that I have. So with your
12 permission, I'll do them one at a time, and you can
13 answer them.

14 First of all, the first one that I just need to
15 be made to understand, in parts of this proposed project,
16 you are going to de-energize and then I think you said
17 wreck portions of the existing transmission system in
18 this area. My question is, isn't that going to cause a
19 lot of trouble with people that are buying energy in this
20 area? And how do you deal with that?

21 MR. BECK: Mr. Chairman, Member Haenichen, it
22 may not be the best language to use that we would wreck
23 out to de-energize. We will strive to keep the line
24 energized throughout construction as much as possible.
25 There will be periods where portions of the line will

1 have to be taken out of service. And, if needed, we'll
2 run temporary jumpers around areas that we're
3 constructing. So it's not a simple process, but it's
4 also not as simple as saying, we're just going to tear it
5 out and then rebuild it. There will be a lot of
6 coordination on outage issues.

7 MEMBER HAENICHEN: Because it occurs to me, at
8 least in first reaction, when you remove an existing pole
9 and embed a new one in concrete, there's got to be at
10 least a week or so that you have to let that sit.
11 Otherwise, it would fall down when you put lines on it;
12 right?

13 MR. BECK: We do have some pretty fast setting
14 concrete, some things we can do to make that happen
15 quicker. But to a large degree, we'll try and inset
16 poles where possible and then attach the existing line to
17 the new poles and then take out the old. Again, it's
18 going to be a very delicate process throughout for
19 coordination.

20 MEMBER HAENICHEN: Okay. Next question. I
21 have four.

22 How did you select the voltages for these
23 things? I think they are probably based on existing
24 voltages in that part of the system; is that correct?
25 You may have wanted to have a higher voltage, but that

1 would be problematic; is that correct?

2 MR. BECK: So the TEP system consists of 46,
3 jumping up to 138, and then 345kV. And we have some
4 thoughts for some future design or some future
5 construction of 230 on our system because of the higher
6 capacities. But for this area, 138 is sufficient.

7 MEMBER HAENICHEN: Okay. Just two more
8 questions. This is a subjective question, so answer it
9 as you see fit.

10 How much of this project has to do with
11 satisfying problems with Davis-Monthan?

12 MR. BECK: In the near term, probably 70
13 percent to resolve their needs for resiliency. But in
14 the little bit longer term, a couple more years, it
15 probably drops to 50/50 and then reduces over time as we
16 have other load growth, residential/commercial, in the
17 area.

18 MEMBER HAENICHEN: Now, the next question is a
19 complementary question to that one.

20 Who is ultimately going to pay for this
21 \$18 million project? Is it going to be ratepayers or
22 some other combination?

23 MR. BECK: For the most part, it will be our
24 customers. And this is a transmission project which goes
25 into our FERC transmission rates. And those, of course,

1 flow through to our commercial and retail customers. So
2 there will be allocations to all customers.

3 MEMBER HAENICHEN: Okay. But if there is a
4 benefit to the Davis-Monthan, as you stated, wouldn't it
5 be implied that they should pay for part of this? "They"
6 being the federal government.

7 MR. BECK: Well, one of the benefits to TEP and
8 its customers is the land for the substation itself.
9 We've got an agreement in place to get a substation site
10 that is workable for us on property that they now control
11 that, otherwise, we would have to acquire through private
12 means off the base, which likely would cost a
13 considerable amount of money. So there's some in-kind
14 contributions towards the project from the base and from
15 the federal government.

16 MEMBER HAENICHEN: That's a good answer. Thank
17 you very much.

18 CHMN. CHENAL: A follow-up question: Will the
19 applicant be leasing the land for the substation from
20 Department of Defense?

21 MR. BECK: No. I believe we will be leasing,
22 but it will be from the City of Tucson. So the base
23 currently leases, I believe, for a dollar a year, their
24 land. And they are going to release the corner piece of
25 property back to the City. And then we're dealing with

1 the City.

2 And, Ms. Darling, I'm not sure. Do you know,
3 is it lease, or is it purchase?

4 MS. DARLING: It hasn't been wholly determined,
5 but it will likely be purchased.

6 MR. BECK: Our preference would be purchased,
7 but we're dealing with the City on that.

8 CHMN. CHENAL: Next question: Isn't
9 Davis-Monthan a customer, a ratepayer, for electricity?

10 MR. BECK: Yes, they are. They're one of our
11 largest. So they will pay the share -- a considerable
12 share of the cost from that standpoint.

13 CHMN. CHENAL: Thank you.

14 Member Haenichen.

15 MEMBER HAENICHEN: That shows the power of the
16 federal government. If they earn a buck, then you have
17 to pay a million dollars.

18 Just a joke. Thank you.

19 Q. BY MR. DERSTINE: All right. We were just
20 about to move on to purpose and need, Mr. Raatz.

21 Why don't we go ahead and move to the next
22 slide, if we could.

23 Mr. Raatz, you have educated me on this project
24 and already walked the Committee through it, but my
25 general understanding is that this project meets or

1 addresses four key needs. Can you walk us through those
2 four elements using your slides.

3 MR. RAATZ: sure.

4 From a high level, this project addresses the
5 needs of the transmission line.

6 It is required to improve service to the TEP
7 service area north of Davis-Monthan Air Force Base. It
8 addresses the need to replace the current 46kV system
9 serving the base.

10 And, also, in addition to that, this system
11 operates as a radial system. Also, within the area,
12 there's existing 46kV infrastructure that will be
13 eventually retired as a result of this.

14 This also assists Davis-Monthan Air Force Base
15 in helping complete the United States Department of
16 Defense energy resiliency directive.

17 And that will be accomplished one way by
18 providing a looped-in system from Davis-Monthan, so
19 Davis-Monthan will be served from two directions.

20 And, finally, it provides end capability to
21 serve future load growth in the area southeast of Tucson.

22 So, as I had mentioned, the existing 46kV
23 system, what we have shown up here on the screen, these
24 are four substations that we will eventually be able to
25 retire with this project. These are all in approximate

1 location to the study area.

2 And this area right here, this is the
3 Davis-Monthan 46kV substation. As you can see, it's
4 currently served by a radial line. So one of the things
5 here, if we lose this line, Davis-Monthan loses all
6 power.

7 By placing the Patriot Substation -- I believe
8 it's somewhere up around in this area -- we'll be able to
9 eventually retire these other three 46kV substations, and
10 we'll be off-loading those and serving them with the new
11 Patriot Substation.

12 There will be some distribution work required
13 as well to provide service to Davis-Monthan Air Force
14 Base.

15 So, as I spoke to, one of the drivers for this
16 was the Department of Defense energy resiliency
17 initiative -- directive. And that directive states
18 that -- to ensure that the Department of Defense has the
19 ability to prepare for and recover from energy
20 disruptions that impact mission assurance on military
21 installations.

22 So we've attended some meetings at high level,
23 and the military has identified one of the key components
24 is to partner with energy providers to help them meet
25 this mandate. And so what we see here is correspondence

1 between Mr. David Hutchens of TEP and Colonel Scott
2 Campbell, United States Air Force Commander, and Colonel
3 Michael Drowly, United States Air Force Commander,
4 indicating the willingness of both TEP and Davis-Monthan
5 Air Force Base to work together to help Davis-Monthan Air
6 Force Base fulfill the energy resiliency directive.

7 And off to the left is the Air Force's Energy
8 Flight Plan. And this is the document produced to help
9 them meet that directive.

10 And, lastly, within this Energy Flight Plan,
11 the Air Force's energy vision is to enhance mission
12 assurance through energy assurance, which kind of ties
13 into everything as far as the directive.

14 CHMN. CHENAL: Member Drago.

15 MEMBER DRAGO: I have a question. When you
16 mentioned you would retire three substations by having
17 the Patriot, I would imagine there are benefits retiring
18 three substations. Could you explain some of those
19 benefits, including cost of ownership, something like
20 that.

21 MR. RAATZ: So could you repeat the question,
22 please.

23 MEMBER DRAGO: So you said you would surrender
24 three substations and just have the one substation, the
25 Patriot. By surrendering three substations, I would

1 imagine there's some benefit to you all in that regard.
2 And I was just asking if you could explain those
3 benefits.

4 MR. RAATZ: Sure. Some of the benefits will
5 come from the retirement of the 46kV substations. We'll
6 have less maintenance to consider. Rather than four
7 substations, we'll have to maintain the one substation.
8 Also, we'll have less poles to maintain as well. There
9 will be a cost savings there.

10 And the load will be served from a higher
11 voltage class rather than the 46, so it's a more reliable
12 system. And, as I've said, the 46 system is kind of a
13 radial system. And our thought process on the 138 system
14 is a loop system. So it's served from two directions.
15 So if you lose one of the lines serving that substation,
16 the other line can pick up the load.

17 MEMBER DRAGO: Thank you.

18 Q. BY MR. DERSTINE: Mr. Raatz, on that point, I
19 thought you had mentioned also that some of the equipment
20 that's used in the substations is, to use your term,
21 aging and will need to be replaced in the near term. So
22 is one of the benefits the fact that TEP does not have to
23 spend money on any transformers and other equipment to
24 update and upgrade those existing 46kV substations.
25 You're going to replace them with a new 138kV substation.

1 Do I have that right?

2 A. (BY MR. RAATZ) That's correct.

3 MR. DERSTINE: I'm sorry, Mr. Chairman, I think
4 I cut you off.

5 CHMN. CHENAL: Yes. On the screen on the
6 right, slide 29, the -- now it's on the left as well.

7 But the letter that's in the upper right
8 corner, if you will, the most raised letter, has some
9 interesting language in it.

10 It says, among other things: We understand the
11 proposed project could include a TEP-owned reciprocating
12 internal combustion engine and/or storage batteries on
13 the Davis-Monthan Air Force Base property.

14 Could you give us a little background on that
15 aspect of the project, one of the members of the panel.

16 MR. RAATZ: Well, I can attempt and then let
17 Mr. Beck interject.

18 For the first portion of this project, the
19 resiliency effort is being met by creating a loop system
20 and a stronger voltage source.

21 But, ultimately, as seen on the next slide
22 here, Fiscal Year '25: Eliminate 20 percent of single
23 points of failure. And Fiscal Year '35: Eliminate 100
24 percent of energy shortfalls to improve contingency
25 operations.

1 CHMN. CHENAL: I'll tell you right now, I don't
2 understand what those mean. I can guess, but I'd like to
3 hear from an expert what those mean.

4 MR. RAATZ: Yes, sir. So by 2025, all the
5 military installations identified in the Department of
6 Defense directive should eliminate 25 percent of single
7 point of failure.

8 So, for example, this Patriot Substation,
9 currently, the 46kV substation has a single point of
10 failure. If you lose the line, you've lost the ability
11 to serve load within that substation. In addition to
12 that, there's only one 46kV transformer. So if the
13 transformer goes out, you've lost the ability to serve
14 the load within that substation.

15 The new Patriot Substation will eliminate those
16 single points of failure by providing transmission from
17 either direction, from East Loop or from Irvington. In
18 addition to that, it will have two transformers with
19 what's called automatic throwover. And so if there's one
20 transformer and you lost it, the load is automatically
21 switched over and served by the other transformer.

22 CHMN. CHENAL: Okay. So there's redundancy
23 there at the transformers.

24 MR. RAATZ: Yes, sir.

25 CHMN. CHENAL: And then on the first point --

1 if you can put the map up again.

2 MR. RAATZ: This one?

3 CHMN. CHENAL: Well, all right.

4 The Irvington-East Loop, it's all going to be
5 135kV line?

6 MR. RAATZ: 138, yes, sir.

7 CHMN. CHENAL: I'm sorry. 138kV line.

8 Whereas, presently, it's 46kV?

9 MR. RAATZ: That's correct, yes, sir.

10 CHMN. CHENAL: So your point of eliminating one
11 of the points of failure is that now you can provide
12 power to any point along the line from either direction,
13 from either source, Irvington or East Loop?

14 MR. RAATZ: Correct, yes, sir.

15 CHMN. CHENAL: So -- okay.

16 All right. So that's point of failure. So the
17 Air Force's goal is to reduce by 20 percent the number of
18 possible points of failure?

19 MR. RAATZ: Correct.

20 And so for fiscal year '35, they'd like to
21 eliminate 100 percent of energy shortfalls to improve
22 contingency operations.

23 CHMN. CHENAL: So what does that mean?

24 MR. RAATZ: So the letter you read identified
25 RICE generation units or battery storage.

1 And so, in the future, I believe the thought is
2 to serve load.

3 MR. BECK: Mr. Chairman, to clarify the record,
4 we'll take one step back.

5 As of the timeframe of these letters being
6 drafted, we were having discussions with the base about
7 their resiliency needs. And one thought that they had is
8 we just want to put a generator on site and be in control
9 of it, effectively cut TEP out of it. It would not be
10 good for us or our customers. And we didn't think it was
11 in the best interest of the base to be in the energy
12 development business.

13 So those discussions that were in those early
14 letters were along the lines of We're going to look at
15 different avenues. It could be onsite generation.

16 One of the points that I made to the base was
17 that it's much more cost effective to serve them with
18 138kV, have a direct tie back to our Irvington location,
19 which has RICE units. Rather than them having their own
20 generation on site and running it, let the energy people
21 run that and have a direct tie.

22 Through the discussion process back and
23 forth -- and there will be a little bit more in a slide
24 show that comes later -- we were able to convince them
25 that the best first phase of a process was this

1 transmission project. And it would meet their 2025 goals
2 as soon as we get the line in service, which we're
3 planning for the end of 2022. So it exceeds their goal
4 for at least that 20 percent piece.

5 One of the things you'll hear about is they
6 wanted the four 9s of reliability. And I've got some
7 information I'll be presenting to show you how we're
8 going to do that through the 138.

9 So while these letters were intended to show
10 progression of discussions, the timeframe of this was we
11 hadn't quite decided 138kV line was the right answer. So
12 there were other references.

13 And there will be other future phases to
14 development of projects with the base. Do they want to
15 put some onsite solar, possibly more. They already have
16 some. Maybe they want more. Maybe we work with them and
17 put battery storage on the site that will serve both them
18 and our needs.

19 So that's what some of those references in that
20 letter were.

21 CHMN. CHENAL: Thank you.

22 Thank you.

23 Q. BY MR. DERSTINE: So, Mr. Raatz, you've covered
24 two of the four key drivers or needs for the project.

25 One was the aging 46kV system. The other was to meet the

1 energy resiliency needs of the base, Davis-Monthan.

2 Why don't we move on to that next need
3 component?

4 A. (BY MR. RAATZ) Another need that will be
5 fulfilled by this project is the ability to respond to
6 service requests within the southeast area of Tucson.
7 There is an existing inland facility. It is called the
8 Port of Tucson. It's a full-service inland port, rail
9 yard, and intermodal facility that currently has 760
10 acre -- it's currently a 767-acre business park. It's
11 designated as shovel-ready by the City of Tucson and Pima
12 County Development Services. And so that means it's
13 basically ready for development.

14 It currently has over 1.7 million square feet
15 of manufacturing, warehousing, and distribution buildings
16 with plenty of space to grow. And it's an active foreign
17 trade zone as well as state of Arizona enterprise zone.

18 And just for some clarification, it is a dry
19 port, and it's sometimes called an inland port, an
20 intermodal terminal directly connected by road or rail to
21 a seaport and operating as a center for trans-shipment of
22 sea cargo to inland destinations.

23 So having the ability to respond to service
24 requests quickly within this area could be of economic
25 importance to the city of Tucson.

1 Q. Am I correct in understanding that TEP
2 currently is serving the Port of Tucson area through a
3 46kV line, and the capacity of the 46kV line is very
4 limited and won't allow for the type of heavy electrical
5 users, industrial users, or the types of businesses that
6 we're trying to attract to the Port of Tucson?

7 A. (BY MR. RAATZ) That is correct. The current
8 46kV system would not be able to accommodate the service
9 requests that we've seen historically.

10 Q. Okay. Speak to that slide.

11 A. (BY MR. RAATZ) So here, we have up on the
12 screen is -- on the left-hand side, you can see the Port
13 Substation location as well as a blow-up of the Port of
14 Tucson area. And this is the rail -- intermodal rail.
15 This is the UPRR as well, the Union Pacific Railroad.
16 And here is our proposed line just if you're on the
17 outside edge of the Port of Tucson.

18 And should the need arise, we could build the
19 Port Substation and be able to respond to those service
20 requests.

21 Q. And the timing for the construction of the Port
22 Substation, following the discussion I had with Mr. Beck,
23 will depend on how quickly the Port of Tucson develops
24 and how many new businesses are there. That will drive
25 when that substation is built?

1 A. (BY MR. RAATZ) That is correct. The location
2 of the substation was identified through distribution,
3 planning, and engineering at TEP. They look at the load
4 growth, the possible load growth within this area, and
5 then see what can be served with that future load growth.
6 And that's how we identified the location of this Port
7 Substation.

8 Q. All right. So we've covered three of the needs
9 that this one project addresses. It's the aging 46kV
10 system that serves the area north of the base, including
11 the 46kV system that serves the base itself; allowing
12 Davis-Monthan to meet the energy resiliency needs by
13 giving it a looped 138kV transmission line; and now being
14 able to serve the Port of Tucson and the expansion and
15 development of commerce and business in that area.

16 What's the final element or the need that this
17 project serves?

18 A. (BY MR. RAATZ) The inclusion of this project
19 has eliminated some of the uprates that we've seen
20 historically in our capital budget study process. So,
21 historically, before we included this project, which goes
22 from Irvington through Patriot and up to East Loop,
23 historically, we've identified the need for uprates on
24 existing circuits, the Los Reales-Vail, which is right
25 along here -- or excuse me -- here and south, and

1 Pantano-Los Reales, and then East Loop to Pantano and
2 22nd to East Loop.

3 So after we prepared our capital budget study
4 this year and our ten-year plan, these projects were no
5 longer required as a result of the inclusion of this.
6 This line seems to offload flow on the 22nd to East Loop
7 line and the East Loop to Vail circuit.

8 Q. When you're saying "these lines," these lines
9 were overloaded under what conditions?

10 A. (BY MR. RAATZ) These were overloaded under
11 contingency conditions. So, for the budget or any study,
12 we have to look at the loss of certain lines and see what
13 resulting lines overload as a -- as result of those
14 lines.

15 MR. DERSTINE: All right. I think that
16 concludes the overview, Mr. Chairman. I want to check in
17 with you on time. We have our flyover presentation,
18 which I think will be 30 to 40 minutes, depending on how
19 fast Mr. Raatz talks, and he can talk pretty fast.

20 And I think you want to cover the route tour
21 this afternoon so that the Committee has an understanding
22 of what that would look like tomorrow. So that's
23 probably an hour's worth.

24 We're at 4:10 by my watch. Did you want to
25 take a break now or -- and I also want to look at -- if

1 the public comment is 5:30, do you want to run up to 5:30
2 or do you want to take a break? How do you want to
3 schedule the rest of our day?

4 CHMN. CHENAL: The Committee knows my
5 preference, that we don't start deliberations later
6 tomorrow, we wait till Wednesday. So I think we have the
7 luxury of time. So I think we can do the flyover, maybe
8 discuss the tour, the flyover, see where we are. But we
9 could break at 5:00 or shortly thereafter and have our
10 public comment at 5:30.

11 I think we'll comfortably have the tour, finish
12 or get close to finishing tomorrow afternoon, and then go
13 into Wednesday and finish up and then have plenty of time
14 for deliberations.

15 MR. DERSTINE: With your permission, I think
16 the sequence that we had envisioned was to do the flyover
17 and then give you a preview of the route tour, because we
18 do include some of the tour stops in the flyover, so
19 there would be time to --

20 CHMN. CHENAL: Let's take a ten-minute break,
21 and then we'll get into that. And then we can go for an
22 hour and look at where we are at 5:00 or a little after
23 5:00.

24 MR. DERSTINE: Very good.

25 CHMN. CHENAL: Let's do that.

1 (A recess was taken from 4:12 p.m. to
2 4:34 p.m.)

3 CHMN. CHENAL: Let's resume the hearing.

4 So there's two items we probably want to try to
5 cover. One is the description of the tour and the other
6 is the flyover.

7 So, Mr. Derstine, whatever order you would care
8 is fine with us.

9 MR. DERSTINE: Thank you, Mr. Chairman. We're
10 going to start with the flyover.

11 Chris, the gentleman here, had set this up so
12 that the mic is always on, and I won't be able to turn it
13 on and off. Here I am not remembering to turn it on, so
14 I'll remember that Chris is right and I was wrong.

15 But with that, Mr. Raatz, let's go through the
16 flyover simulation.

17 And, for the record, you will hear, I think, on
18 occasion, Mr. Raatz say "P-Dub." And I believe that that
19 is a reference to Mr. Dubberly. Please proceed.

20 MR. RAATZ: Okay. So just for navigation
21 purposes, on the right-hand side, we've got all of the
22 alternatives presented, and I'll try and keep up where we
23 are on the Google Earth Flyover with the pointer here on
24 the right-hand screen.

25 So here we have the Irvington Substation to

1 East Loop Substation 138kV Transmission Line Google Earth
2 Flyover.

3 So here is the project location with respect to
4 the city of Tucson boundary. It's outlined in the purple
5 line here, and city of Tucson is shaded in gray. And
6 then we get to zoom in so you can see it at a better
7 proximity.

8 Also, you can see how the project bisects
9 Davis-Monthan Air Force Base.

10 And then here, we have the Irvington
11 Substation, Port, Patriot, and East Loop Substation
12 encompassed by the study area. So we're moving to the
13 study area. These are our final alternatives.

14 We'll be discussing Alternative 1, which is
15 common to all alternatives, first. And that goes from
16 our existing Irvington Substation to our Patriot
17 Substation.

18 And then we'll proceed with Alternative A,
19 which will go from Patriot to East Loop.

20 And Alternative C1, which will go from Patriot
21 along the wash to East Loop.

22 And, finally, we'll end with our preferred
23 route of Patriot to East Loop along Pantano.

24 So here, we're covering Alternative 1. And,
25 once again, we'll go from Irvington to Pantano. And this

1 alternative is common to all alternatives. And this is
2 the alternative that bisects Davis-Monthan Air Force
3 Base.

4 So we've got some navigation tips as we go
5 along. In the upper left hand corner, you'll see
6 Alternative 1. It's color-coded red just like the
7 centerline of the alignment, and all of the Alternative
8 1s on all the maps provided are color-coded red.

9 In the upper right-hand corner, you can barely
10 see it there, is a compass currently pointing down
11 towards -- north is pointing towards the lower left
12 portion of the screen.

13 Throughout the Google Earth Flyover, key
14 observation points will pop in and out to show you the
15 current condition and the simulated condition. And,
16 also, we've tried to identify tour stops along the way
17 just for frame of reference.

18 And, lastly, the black shadow is the 300-foot
19 corridor in this location, and it's centered along the
20 centerline of the alignment.

21 And so here we are starting at our existing
22 RICE generation units. We've recently commissioned units
23 6 through 10. They were commissioned on 12/22. They
24 were a part of Case 177, if you recall. And just above
25 that is the existing 138kV breaker and a half. And

1 moving just north of that is our 46kV breaker and a half
2 substation.

3 So as we proceed north, this is the first
4 connection point into the line. It's a single-circuit
5 138kV transmission. You can see here, these existing
6 structures are no longer there. They're been wrecked
7 out. Same with the ponds over here.

8 Also, in the upper right-hand corner here, this
9 is where we will have double-circuit 46 and 138kV
10 transmission. This is to support the Raptor Ridge solar
11 facility that will be seen right in the upper right-hand
12 corner there.

13 So this portion is double-circuit 138-46. 46
14 is on the right side of the screen. 138 is on the left
15 side.

16 Approaching here, we have the planned Raptor
17 Ridge solar facility. When fully built out, it will be
18 about 10 megawatts.

19 And this is our existing E.ON solar facility.

20 And here, we're approaching Key Observation
21 Point 1. You can find this is Exhibit G-5 in the
22 application.

23 Current condition, you can see the new RICE
24 units in the back, the stacks for the RICE units in the
25 back.

1 And the simulated condition, so this is where
2 the last structure that will have the 46kV and
3 double-circuit, that takes off to the left of your
4 screen.

5 And then we'll continue on with our 138kV
6 circuit.

7 So, as you can see, we parallel the existing
8 UPRR. And this spur over here is TEP's spur.

9 And here we have the crossing of the Valencia
10 Crossing.

11 And up here on the left is Pima Air & Space
12 Museum. This was one of the considerations when looking
13 at segments for the portion between Irvington and
14 Patriot.

15 And we continue. So we're still 138
16 single-circuit with a 300-foot corridor.

17 And what we've got identified here in the
18 balloon is Tour Stop 6. And so it's just to give you an
19 idea of when we get out, things that you can look at.

20 And just on the right-hand side in the orange
21 shaded area is the Port of Tucson, the beginning of the
22 Port of Tucson.

23 And outlined in the yellow polyline right here
24 is where we have planned the Port Substation. And this
25 will help serve load within the Port of Tucson.

1 CHMN. CHENAL: Mr. Raatz, where, roughly, are
2 we on the right-hand side?

3 MR. RAATZ: My apologies. We are roughly right
4 about here.

5 CHMN. CHENAL: Thank you.

6 MR. RAATZ: So as we continue east -- and this
7 is an area where the corridor width changes that we spoke
8 to earlier in our testimony.

9 P-Dub, if you could pause it.

10 So this is the area where we're asking for the
11 900-foot corridor, and it's not centered on the
12 alignment. Rather, there's 150 foot in this direction
13 and 750 foot in this direction. This is the area that
14 encompasses the major scenic route. It has a setback
15 required in addition to the right-of-way where we cannot
16 build within this area. So having the 900-foot corridor
17 will allow us the flexibility to jump from either side
18 and avoid that setback buffer.

19 Q. BY MR. DERSTINE: So, Mr. Raatz, on this
20 preliminary design that's now included in the flyover
21 simulation, we're showing the line inset or onto the
22 right side of the screen so that it is away from the
23 buffer zone, as you've described it, for the scenic
24 roadway; is that right?

25 A. (BY MR. RAATZ) That's correct.

1 Q. But what we're asking for, although the
2 preliminary design shows it inset there to the west --
3 no, to the east.

4 A. (BY MR. RAATZ) The east.

5 Q. -- the 900-foot corridor would allow us also to
6 consider putting the line on the west side of the road
7 there as we're approaching Valencia. And, again, it's
8 this buffer zone that forces us to be so far off the road
9 right-of-way and that drives our need for greater
10 flexibility and this wider corridor. Is that a correct
11 statement?

12 A. (BY MR. RAATZ) Yes, that's correct.

13 Q. All right. Go ahead and continue.

14 CHMN. CHENAL: Mr. Raatz, one question:
15 There's two properties it looks like on the north side of
16 Valencia. What are those properties? It looks like the
17 line is going to go very close to one of those two
18 properties.

19 MR. DERSTINE: Can Ms. Darling speak to what
20 those are?

21 MS. DARLING: The one on the right is a gas
22 station. I'm not sure what the one on the left is. I
23 can't recall. We'll see it tomorrow on the tour.

24 Do you know, P-Dub, from the -- you do?

25 MR. DUBBERLY: Yeah, I believe they're both gas

1 stations.

2 MS. DARLING: Okay.

3 Q. BY MR. DERSTINE: So if they are both gas
4 stations, whatever side we place the line is going to
5 have to be outside and away from -- some distance from
6 those gas stations; correct?

7 A. (BY MR. RAATZ) That's correct.

8 You can see in the preliminary design, we did
9 try to avoid that property.

10 Q. Go ahead and continue.

11 A. (BY MR. RAATZ) So the scenic corridor ends
12 here.

13 And so we jog and we try to stay within road
14 right-of-way. And right here, we've got a 300-foot
15 corridor centered on the alignment again. It's a
16 single-circuit 138.

17 And here, we approach the Davis-Monthan Air
18 Force Base property. And we are on Davis-Monthan Air
19 Force Base property in this vicinity. You can see that
20 Kolb Road is depressed in this area. That's why we're on
21 the Davis-Monthan Air Force property. This structure
22 would have to be super tall to accommodate that.

23 This area I didn't get to in my testimony yet,
24 but this is a crossing that connects Davis-Monthan east
25 and west. And the structures here had to be designed to

1 accommodate the largest plane on base. And we were
2 provided that information. It's a C-5. So the
3 structures here are 142 feet tall, and they allow for 25
4 feet of clearance from the tail, which is -- the
5 information provided to us was 65 feet. So the
6 conductor, at full capacity, the clearance is 25 feet.

7 So we continue north along Kolb, still on
8 Davis-Monthan property. 300-foot corridor centered down
9 the alignment.

10 And up here towards the top of the screen on
11 the right, you can see we're approaching a residential
12 area. So at this location, we shift to the left side of
13 the road. And we've got Key Observation Point No. 3, the
14 current condition, as found in Exhibit G-5 of the
15 application. In the simulated condition, you can see how
16 we cross the road single-circuit 138.

17 And here, we're approaching the planned Patriot
18 Substation. As you can see, it's located at the corner
19 of Kolb and Escalante. As Mr. Beck spoke to in his
20 testimony, this location will allow TEP crews access to
21 this substation rather than have to get clearance in
22 emergency situations.

23 So that concludes Alternative 1. And
24 Alternative 1 is common, again, to all alternatives.

25 So we'll be moving on to Alternative A, which

1 is shown on the right-hand side and on the left.

2 So Alternative A leaves the Patriot Substation.
3 We do have a tour stop planned here. And here, we
4 begin -- the corridor is centered now on the centerline
5 of the road right-of-way. And we did that so as not to
6 go too far into residential properties.

7 Here, we have KOP current condition, as found
8 in Exhibit G-5. And the simulated condition, you can see
9 we removed the structure, and we've got a new structure
10 placed. This is a single-circuit 138kV.

11 Q. So, Mr. Raatz, the 300-foot corridor now
12 centered on the centerline of Kolb Road allows us to
13 consider the opposite side of the road. Currently, based
14 on the preliminary design, we're on the east side of the
15 road; but the corridor would give us the opportunity and
16 flexibility to move to the west side if we needed to; is
17 that right?

18 A. (BY MR. RAATZ) That's correct.

19 So here, we are approaching our South Kolb 46kV
20 Substation. This is one of the areas that was identified
21 as double-circuit 46kV and 138kV. And we're
22 approximately somewhere right around here. And this will
23 continue on for three spans. And the 46 will drop off
24 here and continue west. And then these -- the remaining
25 138kV single-circuit will proceed north. You can see

1 that the line is pushed right up to the edge of the
2 existing right-of-way.

3 Once again, the corridor --

4 Q. Can I have you pause there a minute.

5 When you say the line is pushed up on the
6 existing right-of-way, there was an existing 138kV line
7 in this area; is that right?

8 A. (BY MR. RAATZ) No.

9 Q. So this is a new line?

10 A. (BY MR. RAATZ) Yes.

11 Q. But we are limited in the right-of-way that's
12 available, presumably on either side of Kolb Road,
13 because the homes in this area or businesses in this area
14 are built right up to the edge of the roadway; is that
15 correct?

16 A. (BY MR. RAATZ) That is correct. And, in
17 addition, the road and sidewalk and whatnot is built to
18 the edge of the right-of-way as well. So it limits the
19 space we have to move within that right-of-way.

20 CHMN. CHENAL: Just a follow-up question there:
21 It does look like -- if the black shadowing is supposed
22 to represent the 300-foot corridor, a lot of the
23 shadowing covers existing properties.

24 So I don't understand. You're obviously not
25 going to -- well, maybe I should hear what you have to

1 say.

2 MR. RAATZ: Well, our intention is to stay
3 within the road right-of-way and utilize the existing
4 franchise agreement that we have to the extent possible.
5 But the 300-foot corridor extending over residences will
6 allow for aerial easements, should they be required, over
7 someone's property. We don't have any intention of
8 putting a line over someone's house.

9 CHMN. CHENAL: Member Noland is not here, but I
10 can hear her voice. I mean, that raises a little concern
11 for me that you're going to be placing a line over here
12 and jump leapfrogging over existing homes because you
13 have the right to based on where we give the corridor.

14 And I guess the other option for us is to
15 limit -- in this area limit the corridor to the existing
16 right-of-way or something like that that takes a little
17 concern out of it.

18 MR. DERSTINE: And you should be aware that
19 this was a matter of discussion, and the company is
20 sensitive to and understands your concern. It's our
21 concern as well.

22 What we've done here is to change the
23 measurement of the 300-foot corridor to the centerline of
24 Kolb Road here for the very reason. In other aspects,
25 you'll see where the corridor is measured from the

1 conductor from the centerline of the proposed project.

2 Here, we're on centerline of the right-of-way.

3 But you're right, the 300-foot corridor is
4 shown by the shading. That's why we did it. We wanted
5 you to have an understanding of how far that corridor
6 extends. There would be no intention to put a line over
7 people's homes. But I think Ms. Darling would say that
8 there are areas where -- if you were to select this
9 alternative as the route, there are aspects and portions
10 of this, of Alternative A, in which we would need an
11 aerial easement in order to extend an arm to some extent
12 over someone's private property boundary line. We're not
13 building the project over someone's home, but there are
14 areas where it is that tight.

15 And so if the Committee were to decide this is
16 the best route but we're not comfortable giving you 300
17 feet, then we should have that discussion over what's an
18 appropriate corridor width along this route.

19 But this is not our preferred route. This is
20 not where we think we should be for the very reasons
21 we're just talking about.

22 MR. RAATZ: One other thing to consider along
23 here: On the west side of the road, there is a
24 double-circuit 46kV that extends the length of Kolb Road
25 from this point on.

1 Video.

2 So here, we pick up the existing 22nd to East
3 Loop circuit. And from this point on to East Loop, we're
4 double-circuit 138kV with the 22nd to East Loop circuit
5 occupying the left side of the screen and the Patriot to
6 East Loop occupying the right side of the screen.

7 MR. DERSTINE: P-Dub, can you pause it there?

8 I'm a poor environmental witness. And maybe --

9 Q. BY MR. DERSTINE: Ms. Darling, can you speak to
10 that right here we're double-circuiting the line. So
11 that even creates greater considerations or concerns in
12 terms with how much room we have.

13 Tell us a bit about what our space limitations
14 and the issues are here.

15 A. (BY MS. DARLING) Well, it's a 150-foot road
16 right-of-way, but it's also a six-lane road with a median
17 and then, you know, sidewalks on either side. So the
18 right-of-way is pretty well developed, which pushes us to
19 the very edge of right-of-way.

20 We can place structures, the actual structures,
21 in the road right-of-way. But because it's a
22 double-circuit line, we want to have flexibility if we
23 were to build this alternative, obviously, but we want to
24 have flexibility to have aerial easements with the arms
25 extending onto the private property as well as -- and I

1 get into it in my testimony later, but the City of Tucson
2 has requested that we maintain all of the sidewalks as
3 ADA or Americans with Disabilities Act accessible. So
4 they have to be 4-foot sidewalks. Or, if they aren't
5 already 4-foot sidewalks, allow for them in the future to
6 have room to become 4-foot sidewalks.

7 So that means that in a lot of areas, we might
8 have to obtain an easement for the future sidewalk from
9 the landowner because we wouldn't want to place the pole
10 on the property.

11 So there's a lot of considerations. This is,
12 again, not our preferred option. But those are some of
13 the considerations we would be looking at for this
14 alternative.

15 Q. And the aerial easement issue is more
16 significant here where we move to a double-circuit 138kV
17 as opposed to when we're in a single-circuit?

18 A. (BY MS. DARLING) Absolutely, yes.

19 CHMN. CHENAL: Member Haenichen.

20 MEMBER HAENICHEN: Can someone describe to be
21 what you mean by "aerial easement."

22 MS. DARLING: I can.

23 An aerial easement is when only the arm and the
24 wires are on somebody's property. That the actually
25 footprint where the foot or the base of the pole is on a

1 different property. So you don't have to obtain a land
2 easement. I mean, it's still an easement. It's just the
3 difference is there's nothing at the bottom other than
4 just -- it's in the air. It's aerial.

5 MEMBER HAENICHEN: Thank you.

6 MS. DARLING: Yes.

7 MR. RAATZ: So, continuing north, we have the
8 double-circuit 138kV, 300-foot corridor centered on the
9 right-of-way. And we pop in to Key Observation Point
10 No. 5, the current condition. You can see the
11 single-circuit structure.

12 And here, we have the simulated condition.
13 We've got the double-circuit structure right there.

14 So continuing north. The blue polyline at the
15 top right-hand portion of your screen is the TEP East
16 Loop parcel. So we turn, and we will terminate into the
17 TEP East Loop parcel.

18 To note, this right here is Tour Stop No. 1 for
19 tomorrow. We'll be able to see the existing transmission
20 corridor and the back side of the East Loop Substation.

21 So that concludes Alternative A.

22 Here we have Alternative C1. It extends from
23 Patriot up to 22nd and then through Pantano Wash and back
24 into East Loop.

25 Q. BY MR. DERSTINE: And A and C1, are they

1 essentially the same route except when you reach 22nd
2 Street?

3 A. (BY MR. RAATZ) That is correct. And one thing
4 to remember, Alternative 1 is common to all routes.

5 So here, we are departing from the Patriot
6 Substation. We've got Tour Stop 5. And the 300-foot
7 corridor, once again, is centered on the road
8 right-of-way. And it's a single-circuit 138 in this
9 area.

10 And as we proceed north, right here is our
11 south Kolb 46kV Substation. So from this point on, we
12 will be double-circuit 46-138 until we get to the
13 intersection of Golf Links and Kolb. And from that point
14 on, we are single-circuit 138kV.

15 CHMN. CHENAL: Will you pause it there, please.

16 We're in the same situation, where the corridor
17 you're asking for encroaches right on property.

18 MR. RAATZ: It's the same route as
19 Alternative A in this location.

20 MR. DERSTINE: What you're looking at for A and
21 C1 up until you get to 22nd Street are exactly the same
22 with the same issues.

23 CHMN. CHENAL: Yep.

24 Member Haenichen.

25 MEMBER HAENICHEN: This may be a silly

1 question, but I'll ask it anyway. It appears as though,
2 in that dark area, there's a median. Is it possible to
3 place the transmission line in the center of the median?

4 MR. DERSTINE: It's not a silly question.
5 We'll have one of the witnesses answer.

6 MR. RAATZ: The City of Tucson has not been
7 very open to allowing transmission poles within the
8 median. It poses a safety hazard having the poles in the
9 median.

10 Q. BY MR. DERSTINE: Is it something the company
11 considered and has raised with the City of Tucson?

12 A. (BY MR. RAATZ) To my understanding, I believe
13 it has at some point and brought it to the City's
14 attention. The City did not --

15 Q. Wasn't receptive?

16 A. (BY MR. RAATZ) Yeah.

17 Once again, continuing north. 300-foot
18 corridor, 138 single-circuit.

19 As we approach 22nd Street -- and the
20 difference here of 22nd Street to East Loop would be
21 picked up on Alternative A here. This is going to be
22 single-circuit the entire way on the north side of 22nd
23 Street and the corridor centered along the right-of-way
24 in this area.

25 Q. So it appears that on this segment of 22nd

1 Street, there's considerably more room for the
2 construction of the project in this area; is that right,
3 Ms. Darling?

4 A. (BY MS. DARLING) Yes.

5 MR. RAATZ: Here we are. Right before we cross
6 over to the wash, we've got Tour Stop No. 2. And from
7 this point on, the corridor is centered on the alignment
8 of the transmission line.

9 Video.

10 We have KOP No. 10, the current condition. You
11 can see the existing transmission line there.

12 And this is the simulated condition.

13 Q. BY MR. DERSTINE: And can you point on the map
14 where we are.

15 A. (BY MR. RAATZ) We're right around in this
16 area, right here.

17 Q. And, Ms. Darling, what are we looking at here?

18 A. (BY MS. DARLING) This is the Pantano Wash
19 River Park.

20 Q. And what is --

21 A. (BY MS. DARLING) It's a trail system that runs
22 along the Pantano Wash.

23 CHMN. CHENAL: Could you back it up a little to
24 where you go back to Kolb Road for a moment, please.

25 And we are looking at the line; correct? You

1 have the line along Kolb --

2 MR. RAATZ: That's correct.

3 CHMN. CHENAL: -- as you proceed north.

4 Okay. Thank you.

5 MR. RAATZ: So here we are again, KOP,
6 simulated condition. KOP 10, simulated condition.

7 And we cross over the Pantano Wash and proceed
8 north along the east side of Pantano with the corridor
9 centered on the transmission line alignment. And there
10 were some design constraints in here, so we move over to
11 the west side of the Pantano Wash.

12 Continue north. This is all single-circuit
13 138kV.

14 And here we have key observation point No. 11,
15 the current condition.

16 And if I'm not mistaken, that is somewhere
17 right around up in here. In the simulated condition, you
18 can see the structure placement very faintly in the
19 background there.

20 This is where we turn and enter our existing
21 transmission corridor. Once again, the blue polyline is
22 the TEP parcel.

23 We've got some existing lattice structures in
24 here that have an open position, so we plan to utilize
25 that open position. We're going to reconfigure the

1 circuits that are on there so there's three circuits
2 on -- or, excuse me, two circuits on there currently, but
3 it can accommodate three circuits. So we'll be
4 reconfiguring the placement of those circuits on the
5 structure to allow for this new circuit, therefore,
6 minimizing the amount of structures and disruption in
7 this area.

8 One thing to note again is Tour Stop No. 1.

9 And that concludes Alternative C1.

10 And we'll be discussing Alternative B2, TEP's
11 preferred alternative.

12 We will be leaving the Patriot Substation and
13 heading east along Escalante and continuing north along
14 Pantano, terminating at the East Loop Substation.

15 So, once again, this will be Tour Stop No. 5.
16 As we leave Patriot Substation, we head on the south side
17 of Escalante Road east. This will be single-circuit
18 138kV. The corridor is centered along the centerline of
19 the right-of-way in this area.

20 And up here, we have Tour Stop No. 4. And if
21 you want to pause it. Thank you.

22 There's an existing circuit right here that
23 runs along Pantano, north along Pantano. This will be
24 the area where we'll be collocating that existing circuit
25 on this new transmission line. And that will be from

1 this structure north. And the 300-foot corridor is
2 centered again on the road right-of-way. And this is
3 double-circuit 138kV.

4 MR. DERSTINE: Can you pause it there, please.

5 Q. BY MR. DERSTINE: Ms. Darling, can you speak
6 to -- again, our 300-foot corridor is extending into and
7 covering what you see are houses there on the right side
8 of the simulation screen.

9 Do we have exactly the same space limitations,
10 or are there considerations here that are different than
11 Kolb Road?

12 A. (BY MS. DARLING) They're slightly different
13 here. It's only a four-lane road, so less of the
14 right-of-way is built out. So we do have more room to
15 construct in the right-of-way. I think the 300-foot
16 corridor is just a consistency thing, and so it's asked
17 for throughout the application. But there's not the same
18 concerns for aerial easements along here as there were
19 along Kolb.

20 Q. So we have more space to put our structures
21 along on Pantano Road than we saw what's present on Kolb
22 Road?

23 A. (BY MS. DARLING) That's correct.

24 Q. And that's one of the considerations that went
25 into the selection of B2 as the preferred route; is that

1 right?

2 A. (BY MS. DARLING) That's correct.

3 Q. BY MR. DERSTINE: Okay. Continue, Mr. Raatz.

4 A. (BY MR. RAATZ) Once again, proceeding north,
5 and we are just approaching the Tucson Meadows
6 neighborhood. We've got the double-circuit 138kV.

7 We've identified Tour Stop No. 3.

8 Do you want to pause it, P-Dub.

9 So in this area, the current line goes right
10 through. This is the existing neighborhood. The
11 neighborhood has encroached upon the right-of-way of the
12 line itself. So that's another consideration for
13 preferred Alternative B2, to remove this line from that
14 neighborhood.

15 And one thing to note in this area as well will
16 be the corridor will be centered along the centerline of
17 the line.

18 So here, we move into Key Observation Point
19 No. 7 as found in G-5 of the application. You can see
20 the current circuit going through there, and it extends
21 north right through the existing Tucson Meadows
22 neighborhood.

23 And the simulated condition removes that
24 structure and places a new turning structure and jogs
25 around the bend.

1 So as we proceed north in this area, this is an
2 industrial area. The corridor is still centered along
3 the centerline of the roadway back in our existing
4 right-of-way.

5 And to the left here, we have our Tour Stop
6 No. 2.

7 MR. DERSTINE: Can we make that clear again.
8 Maybe back up a little bit, P-Dub.

9 Q. BY MR. DERSTINE: At that little jog, that
10 left-hand turn and then the right-hand turn back, we
11 moved out of the Meadows neighborhood. But coming back
12 on Research Loop Drive, that brings us back into the
13 existing alignment where there is already a 138kV line;
14 is that right?

15 A. (BY MR. RAATZ) That's correct.

16 Q. All right. Go ahead.

17 A. (BY MR. RAATZ) So here, we have Tour Stop I
18 believe it's No. 2. This will allow us to look down the
19 wash and see where Alternative C1 would be placed as well
20 as look up north and south on Pantano to see the existing
21 alignment.

22 And as we continue north here, the corridor is
23 centered on the centerline of the road right-of-way. And
24 we're still double-circuit 138kV and an existing
25 transmission corridor.

1 Q. Ms. Darling, would we require aerial easements
2 in this area?

3 A. (BY MS. DARLING) I am not entirely sure. I
4 would have to ask Lisa. I could answer tomorrow.

5 Q. Okay.

6 A. (BY MR. RAATZ) Once again, as we approach our
7 existing transmission -- well, we're in our existing
8 transmission corridor. We've got Key Observation Point
9 No. 8, the current condition. You can see the
10 single-circuit structure in the background.

11 And this is the replacement. We've got
12 double-circuit structure. You can see it's turning here
13 and heading west from this point on.

14 In this area, the corridor is centered on the
15 centerline of the alignment. Once again, the blue
16 polyline outlines the East Loop parcel.

17 Do you want to pause it, P-Dub.

18 In this area, we've got existing lattice
19 structures that have an open position that we can occupy
20 with this new circuit.

21 Q. Mr. Raatz, when you say the centerline is
22 centered on the alignment, are we simply saying that for
23 describing and measuring the corridor, at least in this
24 area; and there's other aspects of these routes in which
25 we're saying that the corridor is centered on the

1 alignment, we're putting the center of the 300-foot
2 corridor on the proposed -- where we would propose to put
3 the line?

4 A. (BY MR. RAATZ) That's correct.

5 So this concludes Alternative B2, our
6 preferred.

7 And one thing to note, there was a lot of
8 discussion about Alternative A. And, you know, when we
9 did this route analysis, it just seemed like the most
10 logical way to get from Patriot to East Loop Substation.
11 That's why it was brought forth for consideration.

12 Q. You covered many of the route stops on the
13 simulation, but just in the interest of time, can we now
14 switch over to your route tour map and just quickly
15 summarize what you propose in terms of the number of
16 stops and where those stops would be located on a map.

17 A. (BY MR. RAATZ) First, the route tour can be
18 found in the application as Exhibit TEP-6.

19 There's six stops along the way. We'll be
20 departing here at 9 a.m. tomorrow, and we'll be heading
21 north along Alvernon Way to Speedway to get to that --
22 almost behind the East Loop Substation. That will be
23 Stop No. 1.

24 And then we'll proceed out of here and back
25 down Alternative B2 to Stop No. 2. And this will be the

1 area where we'll be able to look down the wash and see
2 the existing Pantano to East Loop line as well as look
3 down the wash where the proposed Alternative C1 would be.

4 And Stop 3 here is an area just next to that
5 Tucson Meadows neighborhood. So we'll be able to see how
6 the existing line goes through the Tucson Meadows
7 neighborhood.

8 And Stop 4 is an area where we'll be able to
9 see where we'll be picking up the existing circuit and it
10 will become double-circuited 138.

11 Stop 5 is just kitty-corner from the planned
12 Patriot Substation. So we'll have a stop there.

13 And, lastly, Stop 6 is a stop that will allow
14 us to see the proximity of the line with respect to the
15 railroad and the existing distribution in that area.

16 And, finally, we'll be departing, and we'll be
17 going by the Irvington facility. So you'll have the
18 opportunity to see the new RICE units and the new
19 substation that's been constructed.

20 And we'll be ending at the DoubleTree Hotel
21 here.

22 CHMN. CHENAL: Mr. Raatz, I see from the arrows
23 there, when we go to Stop 5, will we be going north on
24 Kolb and then come down south to Stop 6?

25 MR. RAATZ: That is correct, yes, sir.

1 CHMN. CHENAL: Member Haenichen.

2 MEMBER HAENICHEN: Mr. Raatz, some time ago,
3 this Committee approved what we called the RICE Energy
4 Project.

5 Can you tell the Committee, since that
6 approval, how and how often now has that engine complex
7 been utilized. And then would there be any difference if
8 Alternative B2 is approved in the operation of those
9 engines?

10 MR. RAATZ: We currently have commissioned five
11 of the ten units. They're Units 6 through 10. And
12 they've been in operation since December 22nd. And I
13 will have to get back to you as far as the frequency that
14 they operate.

15 I do know that they have at least one unit
16 operating daily. As far as the number of stops and
17 starts, I'll definitely have to get back to you on that.

18 Q. BY MR. DERSTINE: And the estimated time for
19 the tour, do you have an idea of that?

20 A. (BY MR. RAATZ) Yes. We have an estimated time
21 of three hours for the tour. It could be less or more
22 depending upon the questions.

23 And we do have the option to depart the bus at
24 all the locations, with the exception of Stop 3. It
25 might be a little difficult pulling to the side of the

1 road. For safety considerations, we may not want to get
2 out at that location.

3 Q. And my last question about the route tour:
4 Just conceptually, the way we presented the routes, I
5 thought we'd be starting at Irvington and moving along
6 the common route and then somehow covering the
7 alternatives from the Patriot Substation to the north.
8 But we're not doing that. And I think you told me that
9 Mr. Beck has a strong feeling about left-hand turns
10 across traffic or something.

11 A. (BY MR. RAATZ) Yeah, that is correct.
12 Originally, we did design the route tour to go from
13 Irvington to the East Loop Substation through the
14 Patriot -- or, excuse me, through the preferred route
15 first. But after driving it with Mr. Beck, it was
16 decided it would be best for time and safety to avoid the
17 left-hand turns.

18 Q. Okay. Everything in the interest of time and
19 safety.

20 A. (BY MR. RAATZ) And one last thing to note --
21 CHMN. CHENAL: Isn't that an idiosyncrasy,
22 Mr. Beck?

23 MR. BECK: One of our number one priorities is
24 safety, so yes.

25 MR. RAATZ: One last thing to note, I've got

1 shown here a U-turn at Kolb and Speedway. We'll have to
2 go a little beyond that. I've spoken to the bus
3 operator, and he will not be able to make a U-turn. So
4 we'll just go beyond that and pull into a parking lot and
5 have to turn around.

6 CHMN. CHENAL: Well, the timing sounds good.
7 We'll be here at 9. We might put something on the record
8 just saying we're starting the tour.

9 And then we'll come back and have lunch, and
10 we'll start up around 1:00 for the afternoon session. So
11 that should work out very well.

12 MR. DERSTINE: Very good.

13 I think that's all we have for this afternoon
14 until we're ready for public comment.

15 CHMN. CHENAL: Okay. Does the Committee have
16 any questions before we go off the record?

17 (No response.)

18 CHMN. CHENAL: Anything we need to cover at
19 this point from the applicant's attorneys?

20 MR. DERSTINE: I don't believe so.

21 CHMN. CHENAL: So let's adjourn for the
22 evening. We'll take a ten-minute break, and we'll start
23 up around 5:30 for our public comment session.

24 Thank you very much.

25 (A recess was taken from 5:21 p.m. to

1 5:41 p.m.)

2 CHMN. CHENAL: Good evening, everybody.

3 This is the time set for taking public comment
4 on the Irvington-East Loop Transmission Line Project by
5 TEP.

6 My name is Tom Chenal. I chair the Line
7 Siting Committee. And we have the Committee here
8 tonight.

9 We eagerly await the public comment on this
10 project. I see there's eight people who have signed up.
11 And, hopefully, you'll provide public comment so we can
12 hear your concerns that you have or your comments.

13 We're not allowed under the open meeting laws
14 to engage in a conversation with you and ask questions
15 back, but we are allowed to and we want to hear what you
16 have to say. It helps inform us about your concerns. It
17 helps us ask questions of the applicant when we resume
18 the hearing. It gives us context. It's very important
19 that we hear your comments and helps us shape our
20 questions and how we vote on these matters.

21 So I'm going to ask anyone who has signed up on
22 the sign-in sheet, and even if you haven't, to come up
23 and give your comments. And I don't want you to be
24 bashful. This always seems to happen. Everyone's a
25 little -- who's going to be first. And as soon as

1 someone speaks and a second person speaks, then everyone
2 gets up and speaks. So let's do without the waiting and
3 get right up to the microphone.

4 Go ahead, sir. If I could ask you to state
5 your name and then spell your last name.

6 MR. ALBERDING: My name is David Alberding,
7 A-l-b-e-r-d-i-n-g.

8 And I'm a resident and a business owner along
9 the loop across from where the future Patriot Station is
10 going. My concern is the uncontrolled flood coming from
11 the Amazon complex underneath the viaduct there and
12 running down the utility line where the existing poles
13 are.

14 Some of them are being washed out. One of them
15 is broken now and laying on the ground. But it's a
16 concern because without -- that water coming through
17 there, it's eroding quite a bit. In line with those
18 poles, you could have a washout no matter how deep you
19 go. Because right now, over the last year or so, it's
20 eroded about a foot. So check into that safety issue,
21 future thing down the line.

22 CHMN. CHENAL: Okay. Thank you, Mr. Alberding.
23 Thank you very much.

24 Next, please. Thank you, sir. State your name
25 and spell your last name, please.

1 MR. KORCHMAROS: My name is Mike. Last name is
2 pronounced Korchmaros, K-o-r-c-h-m-a-r-o-s.

3 I'm a resident at the preferred extension along
4 Golf Links north of Pantano -- I'm sorry, on Pantano
5 north of Golf Links.

6 CHMN. CHENAL: Sir, can we have a map put up.
7 And maybe we can provide the gentleman with a laser
8 pointer so he can --

9 MR. KORCHMAROS: I'm actually going to be in
10 the northeast corner of that intersection. There's a CVS
11 store right on the corner there, and I'm right behind
12 there.

13 So the utility lines at present run probably 50
14 feet from my swimming pool at present. And those are,
15 you know, the higher poles that are in place here. I
16 counted four lines. Your graphic shows three lines at
17 present. So I don't know if they're going to be adding
18 more lines to those poles.

19 We didn't have any information as to how much
20 current is going through the existing poles. And my
21 wife's concerned about, you know, EMF. And we use the
22 outdoor space in our home, which puts us well within 50
23 feet of that pole. And the back of the property line
24 actually puts us probably about 20 feet from the pole.

25 And so we're concerned about long -- you know,

1 we just moved into the property. We plan on being there
2 for quite some time. Got a young daughter with us. And
3 we're not too familiar other than just hearsay about EMF
4 and what that does with cancers and things of that
5 nature.

6 With high-energy lines there now, I don't know
7 if it would be double, triple, or what's in place there.
8 And I did confirm with the other engineer that they're
9 not moving the placement of the poles that are there at
10 my property. So they're going to be adding to that. So
11 we're quite concerned about, again, that type of
12 radiation or magnetic field coming off. And we haven't
13 seen any information provided in reference to them.

14 CHMN. CHENAL: And where, again, sir, is your
15 property?

16 MR. KORCHMAROS: It's going to be the northeast
17 corner of that -- I can't see the map from here. I'm
18 sorry. So if you see the intersection of Golf Links and
19 Pantano, literally in the northeast corner. There's a
20 CVS on the corner. I'm the house right behind it. So
21 you can't miss it.

22 MR. DERSTINE: Do you see that on the left
23 screen?

24 MR. KORCHMAROS: Let me go up here.

25 So I'm actually going to be that house right

1 there.

2 CHMN. CHENAL: All right. Thank you, sir. We
3 appreciate your comments.

4 MR. KORCHMAROS: Yep.

5 CHMN. CHENAL: All right. Who else would like
6 to speak?

7 Thank you, sir. Your name and if you would
8 spell your last name.

9 MR. SNITKIN: David Snitkin, S-n-i-t-k-i-n.

10 I'm a resident and a homeowner at the Pantano
11 Ridge Subdivision, where --

12 CHMN. CHENAL: Could you point to where that is
13 with the laser pointer.

14 MR. SNITKIN: If we travel north to the jog,
15 right there.

16 So this -- is this the Research Loop jog that
17 you're planning taking the high transmission line out of
18 this neighborhood and then crossing the street? Right
19 here.

20 So this would be my subdivision, I'm guessing,
21 and this is the proposed jog. If I'm wrong, correct me.

22 So my only concern is aesthetics. As a
23 property homeowner, what's going to happen to my property
24 value, if anything will change?

25 So if you're planning on putting a pole that

1 looks significantly larger, like by two, right across the
2 street, then right on our -- "our" meaning my
3 community's -- property line, how should I expect that to
4 impact an already struggling area that's competing with
5 high-density housing, abandoned business sections, gas
6 stations on either end of this Pantano Road? So
7 everything you can imagine to depress this area is
8 happening and is apparently going to happen more.

9 Thank you.

10 CHMN. CHENAL: Thank you, sir. Thank you for
11 your comments.

12 Who else would like to speak?

13 Thank you, sir. Again, if you could state your
14 name and spell your last name, please.

15 MR. ADAMS: My name is Ryan Adams. I'm an HOA
16 board member at Butterfield Ranch.

17 I don't know if you've been talking about where
18 that is, but you've talked about Tucson Meadows. It's
19 where the CVS this gentleman was talking about, that
20 community.

21 I live on Sundew Drive, which is the first
22 street coming north from Golf Links. I'm the first house
23 coming into Sundew.

24 So the first -- you can scroll in a bit, I
25 think. Yeah, like first light. So up here more. I'm

1 right here in this area.

2 And, really, it's the same as these two other
3 gentlemen before me were saying. Basically, home value
4 is one big issue. Another issue is, okay, the cost. I
5 mean, Kolb, of course, makes it a million dollars
6 cheaper. And if you're going to spend an extra million,
7 why not make it just 2 million and take it all the way to
8 the riverbed. I don't think anyone's complaining about
9 the value of Pantano Wash.

10 Also, I don't know if you noticed there,
11 there's a huge retention basin right there, and it's
12 eroding. It's only been around for so many years, and
13 it's eroding quite well. I don't know if you noticed
14 that or not.

15 This is where your picture 7 was or where your
16 Stop 7 was that you're going to be going to. It's just
17 south of that.

18 So it's really -- of course, the quality of the
19 community, also the cost. If you're going to spend an
20 extra million to get it -- to go through our community
21 here, I say take it all the way to the Pantano Wash,
22 then. I mean, if a million doesn't matter to you, take
23 it straight down Kolb because we all know Kolb is a
24 corridor. It's been a corridor ever since I was born
25 here in St. Joseph's Hospital. Take it straight down

1 Kolb because it's the cheapest and it's right there.

2 These ones, it does degrade our value. We've
3 got plenty of power lines, like he's talking about. And
4 I realize there's already ones there and you're going to
5 replace the one, but this one you're talking about is
6 like twice as big too.

7 So just as a representative of that whole
8 community, the HOA, I'm a board member, we're not looking
9 forward to this. We disvalue it. Just like, hey, when
10 he's talking cancer things, I wasn't even thinking about
11 that part. I think we're dealing with that enough. And
12 I respect the other communities, including Tucson
13 Meadows.

14 I don't know why you're going to want to take
15 it around it or I even think there's one reference to
16 take it through it. But I say either A or, what was it,
17 C2 or something like that. That's what I request. Just
18 let's not do B. Let's not take it through Pantano Road
19 right there, especially right north of Golf Links.

20 I appreciate you listening to me, and you have
21 my information.

22 CHMN. CHENAL: Thank you, sir.

23 Who else would like to provide comment?

24 Thank you, sir. Remember to spell your last
25 name as well.

1 MR. MILLER: I got it. My name is Wayne
2 Miller, M-i-l-l-e-r.

3 I, like this other gentleman, is a board member
4 of Butterfield Ranch.

5 CHMN. CHENAL: Can you help us find out where
6 that is?

7 MR. MILLER: They already showed you, next to
8 the CVS.

9 MR. SNITKIN: All those houses.

10 MR. MILLER: Yeah, there's 192 houses in that
11 addition.

12 I'm a retired industrial electrician. Worked
13 for General Motors. Worked around substations. I don't
14 know if you've ever heard of a machine called an
15 implanter. Works on 80,000 volts of DC. I have
16 mentioned this to a few people. I'm kind of worried
17 about the RF, the EMF, the magnetic lines of force.

18 There are several families that live right next
19 to where the line is; and they've got young children
20 which would be around that area, very close to it, for,
21 at minimum, eight, nine hours a day.

22 I'm going to go back to when I worked at
23 General Motors, the implanter machine. As you know,
24 brain cancer is not very common. It's about 1 percent.
25 And two young people in their 20s used to work on the

1 implanter. Daily, they ate their lunch there. Both of
2 them -- in a seven-year period, both of them came up with
3 brain cancer.

4 And I watched a program on TV once that was
5 talking about the high-power tension lines. And they
6 said the rate of brain cancer close to those lines was
7 higher than anywhere else.

8 So me being a board member of that board in
9 that addition, I was concerned about the people that live
10 along there, basically.

11 And can you tell me how far the magnetic lines
12 of force extend out from 138,000 volts?

13 CHMN. CHENAL: Sir, we can't really get into a
14 conversation with you; but the applicant is here, and
15 they'll be happy to answer questions and get that
16 information for you.

17 MR. MILLER: I'm fine with that.

18 CHMN. CHENAL: They'll assist you in getting
19 that information.

20 MR. MILLER: Thank you.

21 CHMN. CHENAL: Thank you, sir.

22 Thank you, ma'am. Make sure you give your name
23 and spell your last name, please.

24 MS. VEGA: Kathy Vega, V-e-g-a.

25 I'm really nervous.

1 CHMN. CHENAL: Don't be nervous.

2 MS. VEGA: My daughter lives at the corner of
3 Kolb and Escalante. So she's right by the Pioneer
4 Station.

5 CHMN. CHENAL: If you could speak a little
6 closer, and if we could pull that area up of Kolb and
7 Escalante. Let's wait until we get it up there.

8 MS. VEGA: Yeah. Southeast corner, that little
9 subdivision there, Chelsie Kaye. Right there. Okay.

10 So she lives there, so she's getting it from
11 the side, the Kolb Road side. And then if it goes along
12 the alternate route going down Escalante, then she's
13 going to be getting it on both sides. So I'm worried
14 about the EMFs as well.

15 I have a son that lives at -- just east of
16 Pantano and Golf Links, and he has significant health
17 issues. And I would hate to see even more EMFs or
18 anything potentially harm my son.

19 I live off of Kolb Road, and I would prefer it
20 to be there. It's already there. It is a corridor.
21 It's cheaper. And I think that makes the most sense to
22 me. Okay.

23 CHMN. CHENAL: Thank you, ma'am.

24 Any other comments?

25 MR. ALBERDING: Yes. I'd like you to take a

1 look at the area that I'm trying to point out when you
2 have that opportunity. Kolb and Irvington.

3 CHMN. CHENAL: State your name again.

4 MR. ALBERDING: David Alberding,
5 A-l-b-e-r-d-i-n-g.

6 This is Kolb, and this is Irvington. You need
7 to go over to Kolb and Valencia. I'm sorry.

8 And it's a little bit more south. That's
9 Valencia and Kolb where the transmission line is going to
10 come up.

11 Okay. This is the pre-Amazon, if I'm not
12 mistaken, because there's no Amazon building there.
13 Well, now, they have triple flood basins along here with
14 all of this now paved and accepting water coming down
15 this wash, and it goes underneath this culvert. And this
16 is the transmission line right now. And it's supposed to
17 be sheet flooding out across this area.

18 But because of development on the Port of
19 Tucson's behalf, that water doesn't sheet across there
20 anymore. It goes down this utility road. And that's
21 where it's undermining your telephone poles right now.

22 And flood control said that when they were
23 making the alternative routes for the Valencia-Kolb
24 intersection, it was going to come through here and put a
25 regulated culvert through this area here. But they

1 haven't did that. And since then, the water coming from
2 this detention area over here where Amazon is, underneath
3 this culvert is flooding out pretty badly along this
4 area.

5 And if you can go west just a little bit --
6 okay. Here's where the new substation is going to be.
7 So the water doesn't come down past this area here. This
8 is my property here. It doesn't come down past here. It
9 turns and goes out here.

10 But that's a real problem area along there, and
11 you really need to investigate that because with the
12 erosion and the water that's coming through there, I'm
13 telling you, it will wash your poles out because it's
14 already doing it.

15 MS. VEGA: I'm sorry. Kathy Vega again. I
16 forgot something. Where my son lives off of C2
17 alternative route, across the street on the south side of
18 Golf Links is a charter school with young kids too. So
19 the EMFs there would be an issue.

20 Do you want me to find it?

21 CHMN. CHENAL: I think we'd like to see where
22 the property is you're talking about.

23 If you can speak into the microphone, Ms. Vega.

24 MS. VEGA: What street is that? That's
25 Pantano? Okay. Go ahead and go east more.

1 Okay. My son lives in here. This here is a
2 charter school. Okay. And that's along the C2
3 alternative route. Okay.

4 CHMN. CHENAL: Okay. Thank you.

5 Any further -- does anyone else wish to speak?

6 MR. ADAMS: Ryan Adams, A-d-a-m-s.

7 I think she's referring to the B2 corridor,
8 your preferred one. Because the C, isn't that going to
9 the river? The Golf Links and Pantano, you see it,
10 that's your highlighted area right there; right? I just
11 want to make sure that's -- I mean, yeah, our houses are
12 all those houses you see, Butterfield Ranch. So, yeah,
13 right across from Golf Links is that charter school, of
14 course, and there's a lot of others.

15 But I just want to make sure it's known that
16 that is, I believe, the B2 route that they're referring
17 to right there. I hope that's understood.

18 CHMN. CHENAL: Yeah, we understand.

19 Any further comments?

20 (No response.)

21 CHMN. CHENAL: Going once, going twice.

22 Okay. That closes the comments.

23 So tomorrow we'll meet here at 9 a.m., and we
24 will resume the hearing and begin the tour.

25 So any further comments from the Committee?

1 (No response.)

2 CHMN. CHENAL: I want to speak to the people
3 that made comments. And I know on behalf of the
4 Committee, we very much appreciate the comments you've
5 made. And I can guarantee you that they will generate
6 questions from the Committee of the applicant. So thank
7 you for that.

8 Unless there's anything else, we will adjourn,
9 and we'll stop the public comment, and we'll see everyone
10 tomorrow.

11 (The hearing recessed at 6:04 p.m.)

12

13

14

15

16

17

18

19

20

21

22

23

24

25

1 STATE OF ARIZONA)
2 COUNTY OF MARICOPA)

3 BE IT KNOWN that the foregoing proceedings were
4 taken before me; that the foregoing pages are a full,
5 true, and accurate record of the proceedings, all done to
6 the best of my skill and ability; that the proceedings
7 were taken down by me in shorthand and thereafter reduced
8 to print under my direction.


9 I CERTIFY that I am in no way related to any of
10 the parties hereto nor am I in any way interested in the
11 outcome hereof.

12 I CERTIFY that I have complied with the ethical
13 obligations set forth in ACJA 7-206(F)(3) and ACJA
14 7-206(J)(1)(g)(1) and (2). Dated at Phoenix, Arizona,
15 this 2nd day of March, 2020.

16
17
18
19
20
21
22
23
24
25


CAROLYN T. SULLIVAN, RPR
Arizona Certified Reporter
No. 50528

26 I CERTIFY that COASH & COASH, INC., has complied
27 with the ethical obligations set forth in ACJA
28 7-206(J)(1)(g)(1) through (6).

29
30
31
32
33
34
35


COASH & COASH, INC.
Arizona Registered Firm
No. R1036